

1 THE NATIONAL INSTITUTE FOR OCCUPATIONAL SAFETY AND
2 HEALTH/NATIONAL PERSONAL PROTECTIVE TECHNOLOGY
3 LABORATORY (NIOSH/NPPTL) PUBLIC MEETING

4

5

6

7

Tuesday, December 13, 2005

8

9

10 CONTINUED DISCUSSIONS of Concepts for Standards for
11 Approval of Respirators for Use against Chemical,
12 Biological, Radiological, and Nuclear Agents (CBRN)
13 and Concepts for Standards for Industrial, Powered
14 Air-Purifying Respirators (PAPR)

15 Docket Numbers NIOSH-008, NIOSH-010, and NIOSH-039

16

17

18

19

Commencing at 9:02 a.m. at Sheraton

20

Station Square, Pittsburgh, Pennsylvania.

21

22

P R O C E E D I N G S

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

MR. SZALAJDA: Welcome to Pittsburgh for the NIOSH public meeting to continue discussions of concepts for standards for CBRN respirators as well as Industrial Powered Air-Purifying respirators.

For those of you who don't reside in Pittsburg, welcome. I hope you enjoy the rest of our fall season, not to be confused with winter.

One thing to note up front, that at this point in time, many of the discussions that we have today do not represent NIOSH policy at this time. Any release of policy would be done through other documentation.

For covering our discussions today, we have an ambitious agenda to go over a lot of work that has been done since the last time we got together in the July time frame.

And we have tried to set up the meeting to cover the powered air-purifying topics first. We will be addressing CBRN as well as the industrial concepts.

We would also want to share with you some

1 of our benchmarking experiences with the test
2 technology and some of the laboratory experiences
3 we have had since July in looking at the testing
4 concepts for the respirators.

5 This afternoon, we're going to cover
6 closed-circuit self-contained breathing apparatus.
7 In addition, Kathryn Butler from National Institute
8 of Standards and Technology, who is doing a support
9 study on face seal leakage, will give us a
10 presentation on their results of work that they
11 have been conducting for us as part of the process.

12 There will also be an opportunity for
13 open comments at the end of the day.

14 During the course of the presentation, we
15 have built in time following each presentation to
16 address your comments and answer any questions you
17 may have regarding the presentation.

18 As far as some of the logistics, I think
19 probably most of you signed in. There will be an
20 attendance sheet prepared and available for the end
21 of the meeting.

22 I will also ask that you please put your

1 cell phones or pagers on mute or vibrate to not
2 interrupt the course of the proceedings today.

3 The meeting is being transcribed. You
4 can obtain a copy of the transcript from the NIOSH
5 Docket Office.

6 On the back of your agenda, there are
7 several bits of contact information regarding how
8 to get in touch with the Docket Office.

9 As far as the question and answers
10 following each presentation, what we would like you
11 to do is to come up to the microphone in the
12 center. Please clearly enunciate your name. We
13 have had problems in the past with everyone so
14 familiar with saying who they are, and they come
15 out quickly, and it won't be transcribed properly.

16 But also identify your affiliation and
17 then state your comment or question.

18 As far as the contact information, there
19 are several dockets that are set up to receive
20 formal comments to the standards development
21 process. The first one, for the CBRN PAPR, you
22 need to reference NIOSH Docket No. 10.

1 For the Industrial PAPR, you need to
2 reference NIOSH Docket No. 8.

3 And for the closed-circuit SCBA, you need
4 to reference NIOSH 39.

5 And with that, as far as the remainder of
6 the administrative details, the restrooms are here
7 on the left-hand side. We have 70 minutes built in
8 for lunch today. There's a variety of places
9 around the hotel that you can go for lunch, or eat
10 in the hotel as well, so you're on your own for
11 that.

12 At this point, I would like to introduce
13 Les Boord, the director of NPPTL, for some
14 comments.

15 (From another room: Welcome, welcome,
16 welcome. Hello, hello.)

17 MR. SZALAJDA: I'm not sure if that was
18 for Les or not, but --

19 MR. BOORD: I wonder if he had a
20 respirator on.

21 Well, good morning.

22 And as Jon said, welcome to sunny balmy

1 Pittsburgh, Pennsylvania.

2 Hopefully, the cold trough that we have
3 been experiencing has not been too brutal on you,
4 but it has been really cold.

5 Before we get into the main topic of the
6 day, the CBRN respirator standards, I would like to
7 talk about a few things relative to some NIOSH
8 programs and perhaps give you a little information
9 on the laboratory, the structure of the laboratory,
10 and then talk a little bit about our customer
11 market focus activity.

12 Most of you are probably familiar by now
13 with the research structuring that NIOSH and the
14 NORA NIOSH program is going through.

15 For those of you who are familiar with
16 the NIOSH research agenda, the NORA research
17 agenda, that format is being revised to actually
18 reflect an industry sector based.

19 And I think, if you go to the NIOSH
20 website, you will see quite a bit of information
21 relative to the NORA NIOSH program sectors.

22 The sectors that NIOSH has identified for

1 research, for developing of research agenda, are
2 the eight sectors that are listed on the screen.
3 And those are derived from the North American
4 Industry Classification System.

5 There was some consolidation of the 20
6 sectors identified there into the eight that we
7 have illustrated here.

8 And those were based on occupational
9 safety and health similarities between the various
10 20 sectors and trying to reduce it down to a
11 manageable number.

12 So as NIOSH and the NORA program are
13 developing their occupational safety and health
14 research agendas for the next decade, they will be
15 focused and oriented along the industry sectors
16 identified here.

17 Now, in addition to that, there are being
18 identified a cross-sector approach to the research
19 agenda.

20 And I wanted to show you this because as
21 you scan down the list of cross-sectors that will
22 be research areas that, as the description is,

1 crosses all of the eight sectors. You can see that
2 personal protective technology is identified as one
3 of the cross-sectors.

4 So in the institute development of the
5 future research objectives and research programs
6 for the institute and for the nation, in the area
7 of occupational safety and health, personal
8 protective technology is one of the cross-sector
9 programs.

10 NPPTL is leading the effort to
11 coordinate -- to identify and coordinate what the
12 personal protective technology cross-sector
13 research programs will be.

14 Then further into the structuring of the
15 research program for NIOSH, we have also identified
16 the coordinated emphasis areas, as illustrated
17 here.

18 A very important step in the process of
19 developing the research agendas are the events that
20 are being labeled as town hall meetings.

21 And there are a series of, I think, about
22 ten or 11 town hall meetings scheduled between

1 December and March of next year that are both
2 industry focused or sector focused, and regional,
3 territory focused.

4 And those are as identified on the screen
5 now.

6 And if you go to the NIOSH website, you
7 can see the schedules and the information relative
8 to registering to participate in the NORA NIOSH
9 town hall meetings.

10 The first one was actually held last week
11 in College Park, Maryland. And there is one
12 scheduled for, actually, next Monday in Chicago to
13 address the construction sector.

14 So I would encourage you to look at the
15 NIOSH website to gain information relative to the
16 NORA NIOSH research program development, look at
17 the town hall meetings, and try to participate.

18 I think this is a good forum for those of
19 you involved in occupational safety and health
20 issues to identify the needs and the gaps as
21 potential research projects.

22 Just to clarify a little further -- and

1 I'm sure most of you are probably familiar with
2 this, but I wanted to give you some perspective of
3 where we, the National Personal Protective
4 Technology lab, fits within the structure of the
5 Institute.

6 And you can see that there are 13 other
7 sister laboratories, divisions, and programs within
8 NIOSH, that we work together with to fulfill the
9 research agenda.

10 And you can see that NPPTL is illustrated
11 there, highlighted with the yellow marker.

12 And the locations of the NIOSH institute
13 offices, divisions, and laboratories are at the
14 various locations illustrated on the map.

15 In October of this year, there was a
16 Federal Register notice that appeared that
17 discussed a reorganization, or organizational plan,
18 for the National Personal Protective Technology
19 Laboratory.

20 So I thought it would be good to
21 illustrate and to talk a little bit about what that
22 reorganization was and is.

1 I'm sure that many of you have seen that,
2 and I know that a lot of you have seen it because
3 we have received a lot of telephone calls relative
4 to it.

5 But basically what that reorganization
6 plan came down to is structuring the laboratory to
7 align with the major activities that the laboratory
8 performs as identified through a strategic planning
9 process that we went through about two years ago,
10 in 2004.

11 And to summarize that, the structure for
12 the laboratory identified in that Federal Register
13 notice and within our strategic plan has the basic
14 operation that's illustrated on the chart here.

15 We have the Office of the Director, which
16 the Associate Director for Science and the Deputy
17 Director are resident in -- in the OD, as well as
18 technical support activities for the laboratory and
19 all activities that occur in the lab.

20 Then we have the laboratory structured
21 into three branches, Technology Evaluation Branch,
22 Policy and Standards Branch, and Technology

1 Research Branch.

2 The Technology Evaluation Branch is the
3 home for respirator certification and for
4 evaluations of personal protective equipment.

5 The Policy and Standards Branch, which is
6 the facilitator of the meeting today for our CBRN
7 standards development, is the second branch and
8 activity for the laboratory. And this is really
9 the new structure that was added, or the new
10 component that was added to the organizational
11 structure for the laboratory.

12 Previously, the policy and standards
13 activity was a component of respirator
14 certification. So under this realignment,
15 restructuring, we have identified that as a branch
16 activity for the laboratory.

17 And then, third, we have the Technology
18 Research Branch, which remains the same under the
19 previous structure and the current structure.

20 Then in addition to the three branches,
21 you can see we have identified four program manager
22 activities.

1 And it's the goal of the laboratory to
2 have the program management functions align with
3 the technical focus for the laboratory, but also
4 with the industry sector focus that the NIOSH
5 research program is identifying.

6 So with that structure in place, I
7 thought it would be helpful to run down the
8 individuals who are currently in the branch chief
9 positions and in the program manager positions.

10 So you can see here, the Associate
11 Director for Science is Mary Ann D'Alessandro.

12 And I think just scanning around the
13 room, I think all of the -- or most of the
14 individuals that we have on the chart here are at
15 the meeting today.

16 So when you walk up to them, you see
17 their name. You can get an idea for their capacity
18 in the laboratory.

19 Again, Associate Director for Science is
20 Mary Ann D'Alessandro.

21 Deputy Director, Ken Williams.

22 Technology Evaluation Branch Chief is

1 Heinz Ahlers. And I think a lot of you had some
2 discussions with Heinz yesterday. I don't know if
3 he is here today.

4 Our Policy and Standards Branch Chief is
5 Jon Szalajda, who is facilitating the meeting
6 today.

7 Technology Research Branch, Ron Shaffer.
8 And Ron is at the second table back. That's nice.
9 Right, Ron? Now everybody knows exactly where you
10 are.

11 Then we get into the program managers.

12 And the four program manager functions we
13 have are the respiratory protection, with also the
14 health care sector focus, and that's Roland
15 Berryann.

16 And I think most of you know Roland. He
17 is back in the corner of the room.

18 The Human Performance Program Manager,
19 which also has a mining sector, construction sector
20 focus, is John Kovac. And I believe John is
21 present as well.

22 The Sensor Technology Manufacturing

1 Industry Sector Program Manager is George Bockosh.

2 And I don't think I have seen George today.

3 And then the fourth PM position is the
4 technical focus for ensembles and the sector
5 service for the services -- services sector, and
6 that's Bill Haskell.

7 So I think that that quick overview will
8 give you a little bit of insight into how the
9 laboratory is structured and the activities managed
10 within the laboratory and the individuals who have
11 some of the key positions within the laboratory.

12 The last thing I want to mention, touch
13 bases on here, is the CBRN respirator standards and
14 respirator certification program.

15 The chart that we have on the screen here
16 identifies some of the CBRN respirator approvals
17 that have been issued since we started this program
18 to develop CBRN related respiratory standards.

19 I think the first of those meetings
20 was -- public meetings was sometime in 2001, and we
21 have progressed over the past three or four years
22 with three to four, I guess, public meetings a year

1 addressing concepts for developing CBRN respirator
2 standards.

3 I think it's significant to take a look
4 at that. And I think everybody in the room really
5 has had a part in bringing us to the point where we
6 have CBRN rated respirators that are available to
7 the emergency responders of the country.

8 So I think that we all deserve a little
9 pat on the back for the accomplishment to achieve
10 these levels of protection.

11 And I think -- I'm confident that the
12 responder industry is a little more prepared today
13 than they were when the process started. So thank
14 you all for your involvement and participation in
15 helping us bring it to this point.

16 And with that, what I would like to do is
17 have the Associate Director for Science, Mary Ann
18 D'Alessandro, say a few words about the customer
19 market focus activities that we have at the
20 laboratory.

21 And I think most of you have probably had
22 some dealings with that activity already.

1 So I will turn it over to Mary Ann.

2 MS. D'ALESSANDRO: Thanks, Les.

3 Good morning. I just wanted to updated
4 you today on the activities the lab is currently
5 conducting to increase our relevance, quality and
6 impact, and our customer relationships and
7 satisfaction.

8 The first activity is the National
9 Academies involvement in NPPTL activities.

10 And with regard to that, the first
11 activity we are conducting is the Committee on PPE
12 for the Workforce.

13 And that is a committee that we have
14 contracted at the National Academies to establish
15 that will meet three times a year and will consist
16 of a form of experts in PPE and academia and
17 experts who will provide us an input to our
18 activities to address emerging PPE needs in the
19 nation.

20 We have one of those members, Dr. Joseph
21 Schwerha, here today, in the audience, who is
22 participating in this meeting.

1 And the first meeting of the Committee on
2 PPE was held November 2. And the next one will be
3 in March sometime. The date has not been
4 established yet.

5 But those meetings are open to the
6 public. So if you go on the National Academies
7 website, you can see when those meetings will be
8 held.

9 And if you are interested, what we can do
10 is send, on our list serve, send out a message to
11 those who are on our list serve, when the next
12 meeting is held for that activity.

13 In the second activity we have with the
14 National Academies is the review of Anthropometrics
15 Survey and Respirator Panel Modifications.

16 Most of you are familiar with Dr. Ze
17 Ching Zwang's (phonetic) work in revising the LANL
18 panel.

19 And with that regard, what we're doing is
20 we, again, contracted the Academies to conduct a
21 review of his work, to ensure that the work is
22 conducted using the best quality, that to move

1 forward, not only in our standards, but in ISO's
2 standards as well.

3 So that committee has held two meetings
4 so far. The third meeting is being held February 9
5 in Irvine, California. And that meeting is open as
6 well, the first day of that meeting. The second
7 day, February 10, is a closed meeting just with
8 committee members.

9 And that consists of one member who is
10 also on the Committee of PPE, but an additional
11 expert panel, who is looking at that work from
12 Dr. Z.

13 And the next activity review that we have
14 with the National Academies is the review of the
15 BLS survey of respirator use in private sector
16 firms.

17 And what they are doing in that regard is
18 looking at the way that survey was conducted and
19 how we should conduct future surveillance
20 initiatives, whether or not we should conduct a
21 future survey in a similar regard, just addressing
22 respiratory protection, or including other PPE as

1 well, or if our future surveillance activities
2 should not include surveys, but include some other
3 surveillance initiatives.

4 So those two activities, we're excited
5 that they will serve as very good inputs into our
6 processes in moving us forward with regard to PPE.

7 Another activity is our customer surveys.
8 We have customer satisfaction surveys and point of
9 service surveys that we're conducting.

10 In our customer satisfaction surveys, we
11 have contracted the Office of Personnel Management
12 and Budget. We actually have an interagency
13 agreement with them to conduct -- to look at two of
14 our customer bases, manufacturers and users. And
15 those surveys were implemented about a week ago.

16 So most of you should have gotten a
17 notice from OPM to go online and to take this
18 survey.

19 We would encourage you to do that because
20 this is our first systematic approach to obtaining
21 input from our customers, again, to help us move
22 forward in our activities.

1 So we're excited about what that input
2 will provide as well.

3 And also our standard point of service
4 surveys after meetings such as this to help us
5 improve the meetings that we're conducting.

6 And the last activity is the Customer
7 Satisfaction Council that we're currently putting
8 together.

9 And that will be a council of nine to ten
10 customers, from users, manufacturers, labor, other
11 organizations who will serve on a rotating basis
12 with a minimum of a one-year term.

13 And the first meeting of that council we
14 envision to take place in the March time frame.
15 And we're hoping that by that time we have the
16 results from our customer satisfaction survey in
17 the summary report from OPM on what the key issues
18 were that were addressed in that survey.

19 And we hope that the council can help us
20 identify why those concerns came out and how we can
21 address those concerns.

22 But also, that council will look at any

1 customer satisfaction issues that are out there.

2 So we have an internal team that has been
3 looking at who the first nine individuals should be
4 on that committee. But if you are interested in
5 serving on that, Tom Pouchot will be the council
6 coordinator.

7 And he should be in the audience. He's
8 over there, just raised his hand.

9 And that committee will meet three times
10 annually for about a half-day meeting. And the
11 first meeting, as I mentioned, will be spring 2006.

12 So we're looking forward to all of these
13 activities. And especially all of the activities
14 will help us -- serve as inputs to our system.

15 And for the customer satisfaction
16 surveys, they're using OPM -- nine standard
17 dimensions to help us benchmark against other
18 government agencies.

19 So many of the questions that are in
20 there were taken from their standard questions.
21 And so we will be able to compare ourselves to
22 other organizations.

1 And we're hoping that with these
2 outcomes, we will have increased customer loyalty,
3 organizational effectiveness and better value.

4 So thank you.

5 Do you have any questions?

6 So I'll turn it over to Jon.

7 MR. SZALAJDA: Well, I guess, if you
8 don't know who I am, I'm Jon Szalajda from the
9 Policy and Standards Development Branch at NPPTL.

10 And every meeting I like to at least,
11 when we get together to talk about CBRN standards,
12 I sort of like to set the tone for why we're here.

13 And I think if you were present at the
14 July meeting, you saw this slide.

15 And I debated whether or not to add the
16 incident at the Miami airport that happened last
17 week to this list. While it wasn't truly an act
18 of -- or it could be construed as an act of
19 terrorism.

20 And I think it goes to show that we still
21 have a lot of issues and a lot of things to address
22 with regard to addressing threats of terrorism and

1 security issues in our workplaces.

2 And I think when you go back and you look
3 at the history, even just this brief snapshot over
4 the last five or six years, that I think the one
5 thing that we can anticipate is that there will be
6 other events.

7 These were major newsworthy events that
8 captured our interest for periods of time, but the
9 incidents of terrorism happen every day throughout
10 the world.

11 And it's in our interest to provide our
12 responder community with the best possible
13 protection, which is the reason for the development
14 of the CBRN respirator standards.

15 But for today, there's a couple of goals
16 that we would like to accomplish.

17 One, is to continue our discussions with
18 regard to requirements for CBRN respirators.

19 And in particular today, we're going to
20 address the powered air-purifying respirator and
21 also the closed-circuit self-contained breathing
22 apparatus.

1 We also want to continue our discussions
2 on what we're anticipating to be performance
3 requirements for an industrial based module to
4 modify 42CFR Part 84 for powered air-purifying
5 respirator requirements.

6 A little bit about our partners -- and
7 I'm sure most of you have seen this slide as well
8 in the past, but it's always worthwhile to mention
9 the fact that, you know, the standards aren't being
10 developed in a vacuum, that the standards
11 development effort involves the input and
12 relationships that we have established with our
13 partners over the past several years.

14 In particular, you look at the
15 relationship with NIST, who identified seed money
16 from National Institutes of Justice, and now
17 Homeland Security, that support our standards
18 development efforts.

19 Our partners within the Department of
20 Defense at the Army Research Development
21 Engineering Command, who we use as a third-party
22 test agent for doing our chemical warfare agent

1 testing and laboratory respirator protection level
2 testing as our test agents, a first for NIOSH.

3 Also, the inputs that we receive from
4 other standards development organizations, like the
5 National Fire Protection Association, and the
6 relationships that we have established with them,
7 and listening to their feedback with regard to our
8 requirements, as well as hopefully influencing the
9 requirements that are generated for clothing and
10 ensemble technology.

11 And also, other stakeholders, like the
12 firefighters, The International Association of
13 Firefighters and Fire Chiefs, have been very vocal
14 advocates of NPPTL and the CBRN program.

15 We also need our manufacturers,
16 represented ISEA, or individually. We receive a
17 lot of input from ISEA, technical and programmatic,
18 to let us know where they think we're on track, or
19 where they think we're off base.

20 And that's been very beneficial to us as
21 far as being able to identify adequate and specific
22 requirements for the respirator standards.

1 So what's the impact, the impact of the
2 CBRN standards?

3 And I think if you're a user, I think the
4 one thing that comes to mind is the fact that if
5 you get grant money from Homeland Security, you
6 should be buying equipment to meet a recognized
7 standard.

8 And of the possible 5,000 or 6,000
9 standards that ANSI has recently identified as
10 having applicability to homeland security
11 applications, you know, the Department of Homeland
12 Security has only recognized 14 standards and lent
13 them the grant money.

14 And three of those are the NIOSH
15 respirator standards for self-contained breathing
16 apparatus, gas mask, and escape respirators.

17 Also, in the relationship we have with
18 the NFPA, that they have recognized the use of
19 NIOSH approved CBRN respirators as part of their
20 chemical protective ensembles.

21 And other standards development
22 organizations are looking at what we're doing with

1 regard to our standards and our test methodology,
2 like the British Standards Institute, and looking
3 at them for applicability to what they're
4 developing for their customers.

5 We have come a long way in four years,
6 four or five years since the standards work.

7 We have completed efforts for SCBA gas
8 masks and escape respirators, and we're looking to
9 tie up our technical work here on the PAPRs and the
10 closed-circuit SCBA over the next several months
11 and then rounding out our suite of respirator
12 standards for combination units and evolving
13 technology, as well as supplied air units.

14 I wanted to spend a little bit of time
15 reinforcing what we do with regard to the standards
16 approach.

17 And the one thing I would like to say
18 with our methodology is I hope we have been
19 consistent.

20 I think when you go back, we have tried
21 to set a three-tier foundation in all of our
22 respirator standards development efforts.

1 I think when you go back and you look at
2 the very first standard for SCBA, it was based on
3 three tiers of requirements.

4 One, was looking at the NIOSH performance
5 requirements based in 42 CFR, Part 84.

6 The second tier is looking at existing
7 international or national standards that could be
8 applied to provide certain protections or certain
9 performance requirements for the users to address
10 things related to human factors or environmental
11 conditioning type aspects of the respirator.

12 And then the final tier is our special
13 CBRN tests, which fall in the categories of the
14 testing with the chemical warfare agents and also
15 the LRPL tests that we do to insure our degree of
16 respirator fit.

17 That same pattern applies to the gas mask
18 that, while we didn't completely adopt all of the
19 provisions of Part 84 for the gas mask, we adopted
20 a large portion of those requirements, as well as
21 identified specific performance requirements from
22 national and international standards.

1 We have also gone through, and we have
2 pursued the development of a CBRN and an APR
3 retrofit kit, which we haven't implemented. We
4 have completed all of the development work
5 regarding the requirements for the APR retrofit
6 kit.

7 And we have held back on the
8 implementation because we haven't seen the need in
9 the workplace yet for this type of capability to be
10 added to our suite of standards.

11 I think one of the things I would
12 hopefully like to hear back some more from the
13 community is if this is truly something that either
14 manufacturers or users feel would be of a benefit
15 to the requirements, then let us know that, and we
16 will pull that standard forward.

17 And then the final standard that we have
18 completed has been the escape respirator standards.

19 And, again, when you look at the two
20 types of escape respirators, the first tier based
21 on requirements from Part 84, either in whole as
22 used for the self-contained escape respirator, or

1 in part as was used for the air-purifying escape
2 respirator, performance requirements based on our
3 benchmark testing that was done and identification
4 of other standards to address those performance
5 requirements.

6 And then the requirements for the special
7 chemical, biological, radiological, and nuclear
8 tests.

9 And Les already discussed the
10 certification programs. So for the 40 charts that
11 I have, I don't think we will need to spend any
12 time on that one.

13 At least as far as an overview of the
14 standards program, I think we might at least just
15 spend a couple of minutes on where we are right now
16 and where we think we're going in the future as
17 well as talk about some of our internal
18 housekeeping.

19 One, obviously, the respirator
20 certification program will continue.

21 As you may have heard at the
22 manufacturers' meeting yesterday, we're continuing

1 to develop our capabilities in Pittsburgh to
2 conduct certification testing at our facility at
3 NPPTL.

4 Where that's not practical or possible,
5 we're looking at the establishment and development
6 of relationships with third-party testing.

7 Again, our relationship with RDECOM is a
8 good example. We're never going to do chemical
9 warfare agent testing in Pittsburgh.

10 To that end, we have that established
11 relationship with RDECOM to do that testing.

12 Along with that, though, I think we have
13 learn a valuable lesson from the events of this
14 past year with the explosion that occurred in the
15 laboratory at Edgewood in Building 5100 and
16 having -- or losing that capability for a period of
17 time to do the certification testing.

18 And to that end, we're in the process of
19 doing some engineering analysis, working with our
20 technical support contractor, EG&G, to look at the
21 possibility of establishing alternate capabilities
22 to do the chemical warfare agent testing.

1 And I would expect that the next time we
2 get together, next year, we will be able to report
3 to you the results of that project.

4 Also, we continue -- and it has been a
5 long process, but we continue to march along with
6 our benchmarking for the powered air-purifying
7 respirators and the development of the CBRN
8 respirator standard.

9 And what you're going to hear a lot about
10 during the course of our discussion this morning,
11 is the repackaging of those requirements and the
12 introduction of the PAPR in a two-step process to
13 bring equipment to bear.

14 And I will get into the details of that
15 in a few minutes.

16 Also, that we plan on continuing to
17 develop the CBRN standards using the public
18 process.

19 We're going to continue to use the
20 concept paper methodology and the posting of that
21 on the internet, continue to encourage to have
22 stakeholder meetings, whether they are done in a

1 public forum like this, or one-on-one meetings with
2 individual stakeholders regarding to the
3 performance requirements for the standards.

4 We're also going to continue to use the
5 docket, as far as receiving formal comments for us
6 to reconcile as part of our process.

7 When we met in July, I had provided
8 discussion about taking a look at our standard test
9 procedures and our standards now that they have
10 been in place for a few years, and trying to
11 incorporate some of the lessons learned from our
12 certification program into the documentation, not
13 from an extent of changing the requirements -- the
14 requirements are what they are in the standard --
15 but at least as far as providing clarifications
16 based on experience to what we have seen in the
17 execution of the test procedures, as well as
18 clarifications to how the requirements and
19 standards were defined.

20 And unfortunately, we had planned on
21 trying to have that effort in place by the end of
22 this year. But with the amount of work that needed

1 to be completed regarding to the PAPR and the
2 closed-circuit SCBA to try to bring those standards
3 to completion, we have had to put that on the back
4 burner for a while.

5 But we're looking on going ahead and
6 completing that effort during this upcoming
7 quarter, and posting the updates by the end of the
8 third quarter of the fiscal year.

9 We have had a lot of discussion about the
10 PAPR. I think by far, it has been the most active
11 and interactive standard that we have worked on, I
12 think partly related to the definitions and
13 requirements of the performance characteristics of
14 the system and also the traditional requirements
15 that NIOSH has identified in Part 84.

16 And we have had a lot of interaction with
17 the stakeholder community. We have had a very
18 active docket input to the requirements that we're
19 considering for the system.

20 And I guess to mention about the
21 docket -- and I usually try to cover some specifics
22 with regard to the input. But I'm not going to do

1 that today, but suffice it to say, again, I want to
2 assure you that when you submit something to the
3 docket, it doesn't disappear into a black hole and
4 it's never considered again.

5 We go through an iterative process within
6 the group when we look at the transcript of the
7 public meeting, identify comments that were made as
8 a result of stakeholder comments at the microphone,
9 as well as soliciting the input and pulling it back
10 from the docket, categorizing all that input
11 against the different requirements, and then going
12 through those requirements and make a determination
13 as far as what we can accept in total or in part,
14 what we don't think we can accept because of either
15 technical or programmatic reasons, or things that
16 we still need to keep in mind because we're not at
17 a point in our technology evolution of the
18 development of the standard that we can make a
19 decision one way or another on those
20 recommendations.

21 For the CBRN PAPR, at this point in time,
22 I think it boils down to a couple of program issues

1 that we're coming through and addressing to bring
2 the standard effort to completion. And, really, it
3 falls into two categories.

4 The first category is a technical issue.
5 When you look at the high flow aerosol test
6 technology to evaluate the aerosol flow of
7 particulates at high -- and I'm talking above 100
8 liters per minute of flow in a test scenario --
9 that the testers that we have and currently we have
10 used over the past several years in certification
11 generally have a maximum output which ranges around
12 100, give or take a few, liters per minute.

13 And we saw that there was a need given
14 where technology was going and considerations of
15 physiological effects and the need to address those
16 types of characteristics as part of our
17 development, that we went out and we worked with
18 the two aerosol test technology manufacturers, ATI
19 and TSI, to come up and build flow testers for us
20 that have this capability to generate and maintain
21 aerosol at high flow rates for us to do as part of
22 our particulate evaluations.

1 We have -- the two pieces of equipment
2 are in hand we have installed in one of our
3 facilities in Pittsburgh. We have been running
4 experimentation with those devices, and they appear
5 to work.

6 Where we are in the process is that now
7 that we see -- and we have captured the technology,
8 we need to take it to the next step, which is to
9 work it into a repeatable type of test that can be
10 used for certification application.

11 So we're going to need to go through
12 another iterative process. We're going to buy
13 additional testers, run through a verification
14 validation type phrase to ensure that we are
15 getting verifiable, repeatable laboratory results.

16 And then have those in a position for use
17 in certification testing by the end of 2006.

18 The other issue that we have worked to
19 address as part of the CBRN PAPER is the stakeholder
20 needs, both on the equipment supplier side as well
21 as on the equipment users side.

22 And we hear from our partners at Homeland

1 Security, as well as our users, we need the PAPR;
2 we need it now; we needed it yesterday; we have got
3 to get the standard completed.

4 But then there's also another sensitivity
5 that was raised that we have tried to issue or
6 tried to address as part of our standards
7 development work, is to ensure when we look at our
8 tiers of requirements for the respirator that we're
9 maintaining that same platform.

10 When you look at using Part 84 as our
11 base to maintain that consistency, whether it's an
12 initial step of using Part 84 as it currently
13 exists, or a future step of using Part 84 as it may
14 evolve to over the next several years.

15 Another program issue that has come up
16 over the past year as well has been the draft OSHA
17 guidance for first receivers.

18 And part of that was to address the need
19 for powered air-purifying respirators by hospital
20 workers that provided an APF of 1,000. And I think
21 when you look at the traditional methodology of how
22 APFs are assigned, there aren't that many of those

1 animals to provide for the user community to use in
2 this type of application.

3 So part of what we wanted to address with
4 the development of the CBRN PAPER as well was to
5 provide a niche for equipment to meet that certain
6 requirement.

7 So when we looked at all of these
8 competing issues, we tried to provide some of what
9 I would like to call clarity to chaos, I think
10 people have heard me say.

11 But at least as far as identifying some
12 of the key elements of the implementation process
13 that we need to follow, one was we felt we had to
14 come up with a way to get the technology -- to have
15 the technology available as quickly as possible for
16 manufacturers to make equipment to a standard, and
17 then have that equipment available for the user
18 community to buy and put into use.

19 A second aspect of the process that we
20 felt was important was to go through and verify
21 that our test procedures that we have developed are
22 accurate and verifiable and in a position that the

1 manufacturers can use them as part of their
2 equipment development specifications, so that they
3 know what they're going to be subjected to once
4 NIOSH gets it in the certification effort.

5 And then the third aspect that we were
6 working internally was whether or not to release
7 the standard using our policy provisions, which can
8 be done in a more expeditious manner, or if we
9 would need to go through a longer time frame
10 rulemaking process.

11 To date, all of the standards that we
12 have released have been done through voluntary
13 approval programs using authorities that NIOSH was
14 afforded in 42 CFR, specifically paragraphs 8460B
15 and 8463C, which allow us to identify additional
16 requirements necessary to establish the quality,
17 effectiveness, and safety of any respirator used as
18 protection against hazardous atmospheres.

19 And we intend on -- for the first step of
20 the CBRN PAPR, is to release a standard still using
21 those policy provisions.

22 All right. Now, I think we're in a

1 position that we have worked through with many of
2 the stakeholder concerns with numerous discussions,
3 and we're in the position now that we are working
4 through our internal due diligence within our
5 agency to get the necessary approvals to approve
6 the standard.

7 And in looking at how the system works,
8 we figure that probably sometime during the second
9 quarter, between January and March of 2006, that we
10 will have obtained all of the necessary approvals
11 for the CBRN PAPER Step 1.

12 And the way that the standard -- we're
13 looking the repackaging of the requirements and the
14 things that we have discussed over the last two
15 years, fall into these two categories, with Step 1
16 being an implementation, as I had mentioned, early
17 next year, using our policy regulatory authorities.

18 And I'm going to spend the next several
19 charts talking about the technical and performance
20 requirements of Step 1.

21 But, again, it uses -- when you go back
22 to our three tiers of requirements, it uses 42 CFR,

1 Part 84 as it currently exists now, as our first
2 tier and foundation for the CBRN standard.

3 The second step, or Step 2, is going to
4 take a lot of the technological evolutions that
5 have been identified and discussed over the past
6 several years, as well as linking that with the
7 industrial module work that we have initiated, and
8 rolling all that effort together as part of a
9 module that will be released during -- using
10 rulemaking provisions, where the CBRN respirator
11 would be a type of PAPR that would be released
12 under the 42 CFR module.

13 Again, still using Part 84 as -- Part 84
14 approval as the basis across the board for the
15 first foundation of the three tiers of
16 requirements.

17 And as far as the time frames, we expect
18 that probably by the end of 2006, that we will be
19 in a position to begin the formal rule making
20 process, which would take 18 to 21 months to
21 complete.

22 The requirements for Step 1, the special

1 tests that we intend to implement along with the
2 requirement to meet the Part 84 requirements for
3 PAPR, are durability conditioning. The durability
4 conditioning would only be done for the
5 tight-fitting PAPR. It will not be done on the
6 loose-fitting PAPR.

7 We will do a chemical warfare agent test
8 for penetration and permeation against the test
9 representative agents, sulphur, mustard, and sarin,
10 with the only difference in procedure being that
11 for the loose-fitting respirator, we will not apply
12 droplets of HD to the respirator.

13 One of the things that I neglected to
14 mention up front, with the CD that was available
15 when you registered and you came in, all of the
16 standard test procedures that we have developed
17 that support these special tests, the drafts of
18 those STPs are available in that CD.

19 And we intend on going through with our
20 due diligence internally and having those available
21 and approved prior to the release of the standard.

22 But the procedures that you have in that

1 CD are the basis for moving forward.

2 And I think in most applications,
3 especially when you look at the gas and vapor
4 testing and the durability conditioning, these are
5 based on the protocols that we have been using in
6 the CBRN and APR testing over the past few years.

7 The other two requirements that we're
8 adding through the policy provisions are the
9 laboratory respirator protection level, the
10 respirator fit test, and then the gas and vapor
11 testing that's done as part of the certification.

12 But, again, I think when you look at the
13 special tests that we have identified, again, it
14 comes back to the three tiers.

15 The durability testing is a test based on
16 national standards, based on the testing that we do
17 with mil standard 810. And the same durability
18 conditioning that we use as part of the gas mask
19 testing, the special test that we use, the warfare
20 agent testing, the LRPL, and the gas and vapor
21 testing.

22 Just a little refresher -- and I will

1 thank my friends in Technology Evaluation Branch
2 for helping me with this slide.

3 But as far as what are the tests that you
4 can anticipate that you need to pass as part of the
5 Part 84?

6 And I don't think -- for any of the users
7 or for the manufacturers that have approved PAPRs
8 under Part 84, this shouldn't be anything new.

9 These are the tests that are done for
10 PAPR, whether it be tight-fitting or loose-fitting,
11 as applicable.

12 A couple of caveats that I wanted to
13 clarify as part of the Part 84 testing that we have
14 had a lot of internal discussion on over the past
15 several weeks.

16 One is about the PAPR air flow.

17 And, again, it gets back to the
18 requirements for Part 84.

19 If you have a tight-fitting system, we
20 use 115 liters per minute divided by the number of
21 canisters on the system.

22 If it's a loose-fitting system, we use

1 170 liters per minute divided by the number of
2 canisters for the system.

3 I also wanted to provide a little bit of
4 the clarification on the requirement for silica
5 dust as far as how we address the Part 84 approval
6 as a system.

7 One of the things that we had talked
8 about internally was whether or not there was
9 really a need for testing the CBRN canister as part
10 the Part 84 approval.

11 And as a result of all of our
12 discussions, we felt that there is a need to look
13 at the canister as part of the overall system's
14 performance.

15 And to that end, what we envision with
16 the canister as part of the Part 84 submittal will
17 be evaluated in two ways.

18 One is that we will evaluate it to meet
19 the high efficiency particulate testing
20 requirements for Part 84.

21 The second part is that we will evaluate
22 it as part of the systems evaluation for the silica

1 dust testing.

2 But, again, it gets back to reinforcing
3 the concept that we will have looked the CBRN
4 canister as part of the overall systems approval
5 for Part 84.

6 With the durability test -- and a lot of
7 these slides I stole from my colleagues for
8 application. The durability conditioning is the
9 same that's done with the gas mask. It's going to
10 follow the same protocol that was established for
11 the APR technology, again, specifically looking at
12 life cycle failures, initial life cycle failures of
13 the equipment.

14 And, again, it also tailors and follows
15 the pattern for that air-purifying respirator, that
16 we're looking for the applicant to identify the
17 minimum packaging configuration that we will test.

18 And it's going to be -- that part of the
19 application is going to be no different than what
20 we do for the APR.

21 And the types of tests, it's the hot
22 diurnal, cold constant, and humidity challenge in

1 our chambers. Also the transportation vibration
2 requirement, and then a drop test of the canister
3 only.

4 One of the things that we will consider,
5 while the durability STP is not a -- it's a
6 process, that's STP there.

7 There is no pass/fail characteristic
8 associated with the durability conditioning.

9 However, what we have seen and will
10 continue to do so with the PAPR, if there are
11 things that are visible to us as a result of the
12 testing, for example, if the battery comes out of
13 conditioning, and it's leaking, that's a problem.

14 And we will need to have dialogue with
15 the applicant as far as how that problem will be
16 addressed and whether or not there's a need for us
17 to conduct additional testing as a result of that
18 incident.

19 Similarly, I guess it sort of
20 parallels -- if we condition respirators, and we
21 have seen the distortion of the facepiece or the
22 nose cup or things of that nature, that indicates

1 to us that, you know, there may be a problem, and
2 we need to continue to have dialogue with the
3 manufacturers, at least as far as to identify and
4 resolve those areas of concern to us.

5 One other aspect that we wanted to
6 address and I wanted to make sure that I brought to
7 your attention, was following the durability
8 conditioning and the gas and vapor testing that's
9 done, we had a provision in the gas mask standard
10 where we conduct an organic vapor testing, follow
11 particulate challenge of the respirator just to
12 insure that -- especially for electric media types
13 of filters, that the electric media wasn't affected
14 as part of the particulate loading.

15 And we will do the same tests that we do
16 for the gas mask with regard to that evaluation.

17 With the agent, the one thing that I
18 wanted to note -- and it's reflected in the test
19 procedure -- is that we're not going to test the
20 battery as part of the agent application.

21 One of the things that we have learned as
22 a result of all of our benchmark testing is it's

1 very difficult to dispose of chemically
2 contaminated batteries as that poses a new
3 challenge for our partners.

4 So what we have done, it parallels what
5 we addressed as part of the SCBA standard when we
6 did not test the bottle, did not test the
7 compressed air bottle with the SCBA, that we
8 provided house air to the system in order for it to
9 be run during the test.

10 We're going to follow a similar path with
11 the agent testing on the PAPR by running house
12 power to the PAPR. And we will need to work with
13 the applicants, at least as far as being able to
14 provide that adaptor to connect to the laboratory
15 house power and interface it with the respirator.

16 Again, the testing parallels what we have
17 done with other systems. We will do a qualifying
18 agent test up front to get a degree of confidence
19 that the system will pass, all of the warfare agent
20 testing prior to going through the durability
21 conditioning.

22 And then following the durability

1 conditioning we will evaluate the systems against
2 GB and HD.

3 I notice, I guess, we're running out of
4 chairs. There are some, if you guys are feeling
5 bold, there are some seats available here in the
6 front. Or unless you just need to get up because
7 I'm droning on too long, but that's okay, too.

8 With the LRPL, again, it's based on
9 technology that has been developed and applied for
10 other systems.

11 Over the past couple of years, we have
12 had a lot of debate about what the LRPL values
13 should be for the respirators.

14 For the systems, we're going to evaluate
15 it with the blower on. We're looking for an LRPL
16 value of 10,000, whether it's tight-fitting or
17 loose-fitting.

18 Then we also wanted to consider for the
19 tight-fitting applications, how to address the
20 potential for were these types of systems would be
21 used.

22 Again, we figure the tight-fitting would

1 be used in a responder type activity, either by the
2 fire service, law enforcement, EMTs. And there may
3 be a potential need to have an escape capability,
4 which would lead us to believe that we would need
5 to meet the NIOSH 14(G) requirements for
6 tight-fitting respirators.

7 And so to that end, we looked back to our
8 gas mask requirement where we identified an LRPL
9 value of 2,000 for the gas mask, thinking that the
10 tight-fitting PAPR should have the same capability
11 as the APR, where the APR may be used.

12 But I think the one -- I keep saying the
13 one thing, but there are a lot of -- I guess a lot
14 of one things today.

15 But the significant thing to me with
16 regard to this requirement is I think this is going
17 to provide an avenue to help meet the OSHA guidance
18 for the first receivers by looking at establishing
19 an APF for either the CBRN tight-fitting or
20 loose-fitting of 1,000.

21 I think this will fit a needed niche
22 within the user community.

1 We have had some initial dialogue with
2 OSHA regarding this subject. We have put together
3 a synopsis of the LRPL, how we conduct the LRPL
4 versus what OSHA used in qualifying PAPRs that were
5 approved for an APF of 1,000 that they have
6 identified and accepted for that APF.

7 And I think there's a lot of consistency
8 between the two test methodologies. And over the
9 next couple of months, we're looking at bringing
10 that dialogue that we have initiated with OSHA to
11 more of a formal position where OSHA will recognize
12 that our LRPL test of 10,000 will equate to
13 providing an APF of 1,000 for these respirators.

14 And the last special test under Step 1 is
15 our gas and vapor and particulate challenge and
16 breakthrough evaluations.

17 And I don't think there are any surprises
18 here. These are pretty consistent with what we
19 have addressed over the past several months
20 regarding the test technology and the conditions of
21 the test.

22 We have decided for the CBRN PAPR Step 1,

1 we're not going to use the capacity provisions that
2 were developed for the APR. We're going to reserve
3 the implementation of the capacity designations for
4 the Step 2 approach.

5 In order to be more consistent with how
6 we currently test canisters and cartridges with
7 Part 84, we decided to limit the test time to 15
8 minutes to determine a base performance level for
9 all of the canisters that will be used as part of
10 the CBRN PAPER.

11 Again, part of that will be up to the
12 manufacturers as part of their user instructions to
13 the users to identify appropriate change out
14 schedules for the application of these type of
15 systems based on their evaluations.

16 Canisters are all going to be
17 conducted -- testing is all going to be conducted
18 on a single -- using single canisters.

19 These are the challenges and
20 breakthroughs. Again, I don't think there are any
21 surprises here.

22 This is for the tight-fitting. This

1 parallels what was developed for the APR and for
2 what we have gotten equipment certified for for gas
3 mask applications.

4 For the loose-fitting, we decided to take
5 a step back and take a look at what the
6 concentrations would be in trying to be sensitive
7 to what our stakeholders were telling us with
8 regards to types of protections that they needed in
9 a more quantifiable controlled type of environment.

10 On the one hand, we felt that we couldn't
11 call it a CBRN canister without testing it against
12 all the TRAs. But we also felt, given how the
13 challenge concentrations were set for the gas
14 masks, it wasn't appropriate to test those
15 canisters at such a high level.

16 So what we did was we made a
17 determination to base the test challenges on half
18 of the concentration that we test for for the
19 tight-fitting PAPR.

20 The breakthrough concentrations remain
21 the same.

22 And as part of the labeling of the

1 canister, we would be looking to identify, to
2 discreetly identify for those types of
3 applications, that's either for CBRN tight-fitting
4 or CBRN loose-fitting, that there would be a
5 differentiation between the canisters.

6 The one thing that you should keep in
7 mind as we move forward with this, is that the work
8 that we're currently doing with Optimetrics and our
9 partners at RDE Com, looking at the hazard
10 assessment associated with the loose-fitting PAPR
11 system.

12 And along with that, there may be room
13 for change with regard to the design of the needed
14 capacities for that type of canister.

15 But we will look at incorporating the
16 results of that hazard analysis in the Step 2
17 provision.

18 For our particulate aerosol testing,
19 we're following the P100 methodologies for testing.
20 The testing will be determined, for tight-fitting,
21 by dividing the number of canisters into 115 liters
22 per minute, for loose-fitting, the number of

1 canisters into 170 liters per minute.

2 And one -- I'm sorry. I think I'm on a
3 one-track mind here this morning.

4 But with the test technology that we're
5 addressing -- and I had mentioned earlier as far as
6 the capability to test at the higher flow rates --
7 we would not be able to get an application today
8 for something 170 liters per minute with one
9 canister. We would not be able to test that device
10 today.

11 So at this point, until we have that
12 technology evolved by the end of this year, we
13 would not be able to evaluate the single element
14 application until we have established the test
15 procedure and the test technology for doing the
16 higher flows, which essentially implies that for
17 applications that we see in the near term, we're
18 going to need to have a multiple canister type of
19 configuration.

20 With regards to cautions and limitations
21 for the respirator, initially, you're going to have
22 two sets of labels, one to show compliance with

1 Part 84 requirements, and then the other to give
2 you the CBRN rating.

3 I think a parallel example is to look at
4 how the SCBAs are marked.

5 You have a NIOSH Part 84 approval. You
6 have the NFPA 1981 approval. And then you get the
7 CBRN label that goes on top of the device.

8 The same type of application is going to
9 happen here with the CBRN PAPR.

10 The units are also going to have to
11 include cautions and limitations associated with
12 the type of PAPR, as well as the unique CBRN
13 cautions and limitations.

14 And if you all want to moan and groan,
15 now is the time to do it.

16 I understand the next couple of charts
17 are really busy, but I anticipated that someone
18 would ask, if I didn't show it, what are some of
19 those cautions and limitations, Jon?

20 Well, here they are.

21 But for any Part 84 approval to date, you
22 see these types of cautions and limitations.

1 These are things that you can go -- if
2 you go to our website and go to the searchable
3 certification -- list of certified equipment, you
4 can pull up all of the Part 84 cautions and
5 limitations there.

6 These are general ones for PAPR.

7 The next slide also provides additional
8 limitations that refer back to the old 30 CFR Part
9 18, as well as additional requirements for Part 84.

10 There will be a quiz on this later, so
11 it's -- and the slides will be available on the
12 internet within the next couple of weeks.

13 You also are going to need to consider
14 the 14G types of cautions and limitations if you're
15 developing a tight-fitting system where it has an
16 escape capability with regard to not being used in
17 IDLH type conditions or having adequate oxygen.

18 The use of manufacturer approved parts.

19 You get into the chemical cartridge, the
20 23C approvals for your loose-fitting, and you have
21 the same similar types of requirements.

22 And there's more 23C cautions and

1 limitations.

2 Then after you're done putting that into
3 the user instructions, we will need to address the
4 CBRN unique cautions and limitations. We already
5 have a set that was identified for the
6 air-purifying respirator.

7 You're going to see a transition of those
8 requirements into what's defined for the PAPR.

9 And there's two slides with very small
10 print here that you won't need to memorize.

11 But at least a couple of things that need
12 to be addressed are the use of the respirators as
13 part of an appropriate personal protective
14 ensemble, whether it's a level A suit, or a less
15 than level A suit.

16 There are concerns over the use period,
17 the recommended use life of the CBRN respirator,
18 you know, the fact that we are looking at an
19 eight-hour time frame for use after exposure to
20 chemical warfare agents.

21 But the one thing -- and I'm going to do
22 this all day I can tell.

1 But the one thing that we will be
2 expecting to see with the loose-fitting types of
3 cautions and limitations are these parameters. And
4 part of it gets back to where we think the
5 respirators are going to be effectively used.

6 We do not see the loose-fitting
7 technology being used in a potentially high
8 physiological demand type of application.

9 We don't see where this would be used in
10 fire service or law enforcement or emergency
11 medical technicians.

12 Again, paralleling the capabilities of
13 the CBRN APR, that if you're wearing a
14 tight-fitting CBRN PAPR or a CBRN APR, those will
15 be used in the same scenarios.

16 The loose-fitting, we're looking at
17 applications in other areas, the hospital worker,
18 command and control center, things where you may
19 not have that high physiological demand where you
20 can overbreathe the system, but you're still at a
21 level where you're going to need to address
22 respiratory protection.

1 If you recall when Dr. Roberge gave his
2 presentation in July, which is also available on
3 the internet, he had discussed about, you know,
4 based on his experiences as an emergency room
5 doctor as well as consultation with his colleagues,
6 as far as the need for dermal protection or some
7 sort of shroud associated with the loose-fitting
8 PAPR to protect the head and the upper torso.

9 And then the fact that, because of the
10 nature of the approval for the loose-fitting PAPR,
11 that they're not appropriate for escape devices.

12 And by all means, a CBRN PAPR is a
13 bargain.

14 Compared to what you have seen in other
15 forums, when looking at what we anticipate to be
16 the certification fees, we're planning on doing the
17 durability conditioning for all the PAPRs at our
18 facility in NIOSH.

19 The agent test, the LRPL, will still be
20 done for the foreseeable future by our partners at
21 RDE Com.

22 The numbers that we're showing are based

1 on what was established for the 2005 time frame.

2 I'm in contact with our counterparts at
3 RDE Com, now, who we're hoping to hold those fees
4 fast for the upcoming year.

5 And if there are any changes, we will do
6 what we can to mitigate the impact on the
7 manufacturer for what you have to pay as part of
8 the certification process.

9 And, again, this is our initial look.

10 Depending on the results of the testing,
11 if we need to conduct additional evaluations, then
12 that testing, that type of testing isn't included
13 as part of the fee structure.

14 I'm sure this is the most important chart
15 for a lot of you today. So if you need any more
16 time to write down the numbers, I will wait a
17 minute. Okay.

18 What are the advantages of Step 1?

19 It still continues to support our
20 traditional approach and methodology for the
21 development of CBRN respirator standards.

22 We use the relationship and the

1 requirements established with CBRN using the first
2 tier based on Part 84.

3 And regardless if it's the Step 1 or Step
4 2 or any future iteration, the base platform for
5 PAPR meets the existing Part 84 requirement.

6 The other aspect behind the Step 1, Step
7 2 approach is that this provides the potential for
8 equipment availability to the user in the near
9 term.

10 Not providing a recommendation or
11 anything like that to the community, but one of the
12 attractive aspects behind this approach is that
13 Part 84 applications could be developed and
14 provided to NIOSH now, while the -- we're doing our
15 due diligence within the agency to get approval of
16 the process for releasing the Step 1 approach.

17 That way, with the time on the standard
18 is released in the January through March time
19 frame, if Part 84 status has already been achieved
20 or approval of Part 84 status has already been
21 achieved, we can immediately go into the CBRN
22 testing portion of the requirements.

1 And that in turn, following our time
2 frame in getting the certification testing done for
3 the CBRN elements, looks to providing approvals and
4 potential equipment release during 2006.

5 The other aspect, the other advantage
6 behind the implementation of Step 1 is providing a
7 safety and health benefit for hospital workers and
8 other receivers that need -- excuse me, that need
9 respiratory protection, but do not need all of the
10 requirements that were identified for tight-fitting
11 PAPR.

12 And with the connection with our LRPL
13 test of 10,000, that provides the test basis for
14 linking the respirator fit test to -- with a safety
15 factor of ten to the proposed APF of 1,000.

16 And, again, we would appreciate your
17 comments on this, either today or to the docket.
18 Sooner is better than later, obviously, at this
19 point in the program.

20 But at that point, I would like to --
21 since we're at 10:18, I would like to take any
22 questions that you may have that I or my colleagues

1 can address, and then we will take a short break.

2 Please come up to the microphone.

3 MR. SAVARIN: Mike Savarin, Bullard
4 Company.

5 A very quick question, actually.

6 When you ID an area of concern during the
7 durability test or conditioning, since there's no
8 pass or fail criteria, is it mandated that the
9 approval is given, it's just that you're going to
10 discuss the issues that arose with the applicant or
11 manufacturer, whichever is applicable, of course,
12 manufacturer, and then that's really it?

13 Or is it the nature of the durability
14 testing that it will later affect the past test --
15 the testing that follows that so it will kind of
16 just come out of it?

17 Do you know what I mean?

18 MR. SZALAJDA: Yeah. I will take a shot
19 at that, and then Bill and Frank can bail me out.

20 But the question is whether or not, if
21 you pass the durability test -- or if you go
22 through the durability test, whether or not that

1 will impact your approval, with the approval being
2 that, through the reconciliation of issues
3 associated with the results of the durability
4 testing, what has been seen, or what would be
5 required at that point as far as testing; correct?

6 And I think the short answer is -- well,
7 it's a government answer, but it all depends on the
8 nature of the failure.

9 I think what we have seen and done
10 historically in the past, that we have seen issues
11 with respirators coming out of the durability
12 cycle.

13 And at that point, we engage the
14 manufacturer or the applicant with regard to those
15 types of questions and whether or not we feel that
16 the testing could go on or should go on, or if the
17 manufacturer or the applicant needs to go back and
18 reconcile those issues before we can proceed with
19 the rest of the testing.

20 I mean, for example, I think one of the
21 things that we saw with the -- with some of the
22 applications, when you look at the systems with

1 canisters, is we saw -- they came in sealed pouches
2 where the pouches lost the vacuum seal, or there
3 was obvious evidence of the canisters leaking
4 carbon.

5 Those are -- the thought being that
6 you're not going to pass the gas and vapor testing
7 if you have -- with that type of product.

8 Maybe you need to pull the stand up a
9 little bit.

10 MR. SAVARIN: You know, as far as that
11 was concerned, it seems obvious to me that if
12 there's an issue that comes out during the testing,
13 during the conditioning, it should really follow
14 that something should -- detrimental maybe should
15 happen in the early stage, I was just wondering if
16 what we have known and granted up to this date is
17 that we're in a better position to inform everyone
18 of what they might expect to see and what may lead
19 closure or suspension or (unintelligible).

20 MR. SZALAJDA: Uh-huh. That's a good
21 point.

22 I think that's one of the benefits of

1 doing the durability testing is because we see that
2 the durability test gives us an indication of
3 initial life cycle failures.

4 And if there are issues that are
5 identified with the performance of components or
6 the respirator, then it gives the -- and given
7 the -- I think the other aspect of that is given
8 the cost associated with this testing, it gives the
9 manufacturer or the applicant the opportunity to
10 react and make adjustments to their application to
11 reflect design changes to meet the requirements.

12 MR. BERNDTSSON: Goran Berndtsson from
13 SEA.

14 I have a long list of things, but there's
15 a lot of things you have already answered for me,
16 but there is couple of things here.

17 First of all, a couple of years ago when
18 we started this process, you had a very nice
19 introduction, and you documented in the beginning
20 where this product actually was supposed to be
21 used, et cetera, et cetera.

22 And that has all come out, and I would

1 like to see that come back in because --

2 UNIDENTIFIED MAN: Could you speak into
3 the mic?

4 MR. BERNDTSSON: Is that better?

5 MR. SZALAJDA: It's a little distorted.

6 Actually, I got your first question, and
7 I will repeat it.

8 One of the things that we had done in the
9 original developments of the concept paper was to
10 provide a preamble of sorts, up front, which
11 addressed some of the potential applications of the
12 respirator, as far as who the target audience was
13 for the system, where it should be used, that type
14 of applications; correct?

15 And I think the one standpoint I think
16 when you see this concept paper, basically what
17 you're going to see when the standard is released
18 is if you cut that little bit of discussion up top,
19 you know, Attachment A to the letter of the
20 transmittal is doing to be the following -- the
21 eight and a half pages that follow the little bit
22 of discussion.

1 But we thought the best way to approach
2 the user conditions or sensitivities, as far as
3 where the system should be used, should be in the
4 cautions and limitations associated with the
5 particular type of respirator, whether it was
6 tight-fitting or loose-fitting.

7 Along with that, we have a very active
8 program now in developing guidance documents
9 associated with the use of the system, where we're
10 pretty close to having the SCBA document go through
11 external peer review, where we're in a position
12 that we're pushing the APR guidance document along.

13 And the next step in the iteration this
14 year is develop guidance documents for the escape
15 respirators and for the PAPR.

16 And I think that that's more of our
17 focus, as far as based on our observations and
18 lessons learned as a result of the whole standards
19 development process as well as things that we think
20 the users should know.

21 And I think -- and if you go back and you
22 look at guidance documents that we currently have

1 up on the web, when you address things, you know,
2 regarding, you know, whether or not you should buy
3 a respirator for your own personal use or things
4 that we identified as part of being concerns with
5 the escape respirator, you know, documents, the
6 things that we feel are appropriate that the
7 community needs to know, we will put notice of
8 those types of guidance documents.

9 MR. BERNDTSSON: Okay. That's fine.

10 However, three years ago we discussed
11 increasing the flow rates to take care of -- I
12 think it is really important that people who are
13 interested doesn't believe that now this is the
14 result of what was discussed two years ago, three
15 years ago.

16 It was only halfway there or partly there
17 or whatever it is, intermediate.

18 MR. SZALAJDA: That's a good point, very
19 good point.

20 MR. BERNDTSSON: The other thing I have
21 here is that on the MPC, it states that you have
22 durability conditioning that refers to the

1 tight-fitting respirator, but it doesn't seem to
2 refer to the loose-fitting.

3 Is that a mistake?

4 MR. SZALAJDA: No, that's correct. It
5 only applies to the tight-fitting.

6 Because, again, we're looking at the
7 applications for the loose-fitting, and being in
8 more of a controlled environment in the hospital
9 settings, things that may be command and control.

10 We're not looking at loose-fittings to be
11 going in the back of a patrol car and being driven
12 around for a year before the respirator is pulled
13 out.

14 That's the role of the gas mask or the
15 tight-fitting PAPR.

16 MR. BERNDTSSON: But then you have to
17 write, I think, the conditions of use, that it
18 can't be used in that situation as well.

19 MR. SZALAJDA: That's right.

20 And that's part of the cautions and
21 limitations, when you look at the -- which wasn't
22 part of the concept paper as it was posted on the

1 web, but it is one of the things that we have
2 addressed as far as specific limitations to the
3 loose-fitting respirator.

4 MR. BERNDTSSON: When it comes to the
5 LRPL, it's going to be tested -- that the
6 tight-fitting respirator is going to be tested with
7 power on and power off.

8 Is there any kind of limitations of usage
9 going with that, or what did you mean by what's
10 going to happen with that?

11 MR. SZALAJDA: With the -- the
12 tight-fitting requirement is based on the fact that
13 you can use it as -- with the blower off, you can
14 use it as an escape respirator from IDLH
15 conditions.

16 And, again, looking at the same
17 capability that was built into the gas mask, that
18 that capacity is built into the APR, that you can
19 use it for escape purposes.

20 And in looking at the tight-fitting being
21 used in the same scenario as the gas mask, it needs
22 to have that same capability.

1 MR. BERNDTSSON: As we're doing that with
2 the LRPL with the power on, why do we bother of
3 doing the test of the exhalation valves for
4 leakage?

5 I mean, we get that in that test anyway.

6 MR. SZALAJDA: Yeah. I think I kind of
7 lost you on that one.

8 MR. BERNDTSSON: You have the requirement
9 of you're testing exhalation valve leakage
10 (unintelligible).

11 That's what you said on the slide.

12 MR. SZALAJDA: As part of your Part 84
13 approval.

14 MR. BERNDTSSON: When you are doing the
15 total inward leakage test, I mean, if you have a
16 problem with the exhalation valve, you see it
17 there. Why are you doing the other tests as well?

18 MR. SZALAJDA: Well, I guess the one
19 thing that's not -- you know, when you look at the
20 LRPL test as being a fit test, it does a couple of
21 things.

22 One, it assures that you fit the range of

1 the population, the LANL panel. And the other is
2 that it's going to provide a degree of protection.

3 MR. BERNDTSSON: The valves is included
4 in that test. And the system test, everything is
5 included.

6 MR. SZALAJDA: Again, it gets back to,
7 you know, when you look at the stages that were set
8 up, you have to get Part 84 approval first.

9 We're using Part 84 as the platform
10 across the base, across all of the applicants for
11 approval.

12 And then once you have the Part 84
13 approval, you have the additional tests for -- you
14 know, the four extra tests that I talked about.

15 And as part of that, they are for
16 specific things.

17 And, again, the LRPL test isn't looking
18 at inhalation or exhalation resistance. It's
19 looking at fit.

20 MR. BERNDTSSON: When it comes to the
21 retrofit, you're talking about retrofit for the
22 tight-fitting, but not for the hood. That's what

1 you mean?

2 Is that a mistake, or do you intend not
3 to have it retrofitted for the hood?

4 MR. HOFFMAN: I don't think we envision
5 the retrofit for the hoods at this time. It's not
6 to say that we couldn't.

7 But our thinking was along the lines that
8 because the PAPRs are a little bit more expensive
9 than the air-purifying, and people would want the
10 retrofit, our thinking was that there was a need
11 for that, but also that it would mostly be the
12 tight-fitting that people would want the retrofit.

13 MR. SZALAJDA: Yeah. But that's not to
14 say that -- that's something we can consider
15 between now and when the standard is released.

16 MR. BERNDTSSON: I don't really agree
17 with counting half the concentration of testing the
18 filters for the hoods.

19 I mean, you have to make a very
20 distinctive difference where these two different
21 products is going to be used to justify the PAPR.

22 That can also be done.

1 MR. SZALAJDA: That's a good point as
2 well, but it gets back to part of -- you know, we
3 felt we couldn't say it was a CBRN canister if we
4 didn't test against solid TRAs.

5 But from what we're seeing, how
6 appropriate those values are is the issue.

7 And not having the results of the hazards
8 assessment yet, we took -- we just made an
9 observation that we would approach it from half the
10 concentration standpoint.

11 From the aspect that you're still getting
12 a degree of protection, just that the capacity of
13 the canister is going to be different than that of
14 the tight-fitting. That's something that we will
15 have to be very specific about with regards to the
16 labels and the user instructions as far as the
17 canister capability of one versus the other.

18 And it could be that in practice you may
19 use the same canister for tight or loose-fitting,
20 and that theoretically could happen.

21 But depending on your application, it's
22 going to have to be addressed as part of your

1 user's instructions, you know, how you determine
2 the capacity for that particular application.

3 MR. BERNDTSSON: Well, do you think that
4 it would help the user community if you are using
5 the different levels of capacity as you have in the
6 APRs, in even this intermediate standard?

7 You said you're going to introduce in the
8 next level. Why not have it already here? That
9 would certainly help the user community to
10 determine how long they can use the equipment.

11 MR. SZALAJDA: I think that gets back
12 to -- we were looking at trying to parallel what we
13 did for Part 84 and be consistent with, you know,
14 the Part 84 methodology, you know, that we test as
15 part of the industrial applications, we test for a
16 specified time.

17 And for this situation, we're going to do
18 the same with the CBRN PAPR requirements, the
19 testing for a minimum time, knowing that the
20 applicants will test systems to the breakthrough,
21 and then be able to provide that information to
22 your user.

1 MR. BERNDTSSON: That's we hope will be
2 done.

3 The last question is when do you expect
4 to take applications?

5 MR. SZALAJDA: In the best case scenario,
6 assuming that March 1 or -- March 1, we release the
7 standard, we would start taking CBRN applications
8 30 days after the announcement of the standard.

9 You can apply for Part 84 approval at any
10 time.

11 MR. DENNY: Frank Denny, Department of
12 Veterans Affairs.

13 Just to briefly confirm what I think you
14 said, and that is that you don't need a high flow
15 PAPR for First Receivers.

16 MR. SZALAJDA: That's correct.

17 MR. SMITH: Simon Smith, 3M Canada.

18 On the slide of 42 CFR 84 requirements,
19 you listed numbers 33 to 48 or 62 gas and vapor,
20 and you're also doing gas and vapor testing for
21 CBRN.

22 What are the gas and vapor requirements

1 on this 42 CFR 84?

2 MR. SZALAJDA: Well, it's as applicable;
3 okay.

4 MR. SMITH: What does that mean?

5 MR. SZALAJDA: This is an iteration.

6 If you were to contact us as an applicant
7 today, and you said, What do you need to pass Part
8 84, this is the list that we would give you. Okay?

9 Specifically for CBRN, when we evaluate
10 the canister, we're going to evaluate it for high
11 efficiency particulate, and we're going to evaluate
12 as part of the systems test for silica dust.

13 MR. SMITH: So basically gas and vapor, a
14 lot of things fit under that.

15 MR. SZALAJDA: Right. That's why it's as
16 applicable.

17 MR. SMITH: That line there.

18 MR. SZALAJDA: Again, but this is if you
19 were -- for any PAPR, regardless of if it's
20 industrial or CBRN, for any system, if you came to
21 us today and said, What test do I need to address
22 to get Part 84, this is the list.

1 MR. SMITH: So the only gas and vapor
2 testing is for the CBRN?

3 MR. SZALAJDA: That's correct.

4 MR. SMITH: Thank you.

5 MR. SZALAJDA: You're welcome.

6 MR. HEINS: Bodo Heins, Draeger Safety.

7 When I saw your guidance of the piece, I
8 realized that you only have ten gas and vapors
9 which have to be tested now for the PAPR, which is
10 different (phonetic) for the CBRN APR.

11 Is that what you wanted from? And how
12 can a manufacturer add gases if he wants to have
13 more gases for which his PAPR would protect?

14 MR. SZALAJDA: Okay, yeah. These ten
15 TRAs plus the particulate go back, and they
16 represent -- they're the same -- they're the same
17 TRAs we test as part of the APR.

18 One of the things that we're doing -- and
19 we have made more available and are doing as part
20 of our APR guidance -- is to identify what those
21 tests representative agents represent, you know,
22 the families, the different families that each gas

1 and vapor represents, which we're developing and
2 packaging as part of our guidance document.

3 And if you're internet savvy, you can go
4 to previous presentations on the website, and you
5 can find what the families are.

6 But when you see guidance, user guidance
7 coming up in the near term, it's going to show you
8 the breakdown of what the gases represent.

9 One of the things that we're currently
10 doing as a research project within the organization
11 is addressing doing additional gas and vapor -- now
12 that we have CBRN-approved canisters, we're going
13 and we're taking a sample of those canisters, and
14 we're going to evaluate them against all the TRAs
15 to show how the test representative agent truly
16 represents those particular families.

17 MS. DEMEDEIROS: Edna DeMedeiros, North
18 Safety Products.

19 Jon, I just want to reiterate what I
20 heard. And from what I understand, if you have
21 already a PAPR or 42 CFR 84 approval, that once the
22 standard comes out, you can submit your CBRN

1 respirator for approval.

2 Is it just that the major components have
3 to remain the same and then you will be able to
4 shroud and do whatever you need to do to in order
5 to meet the other requirements of the standard?

6 MR. HOFFMAN: I think I will answer that.

7 MR. SZALAJDA: Okay.

8 MR. HOFFMAN: You would have to make
9 changes to the respirator to meet the CBRN
10 approval, and you would have to resubmit it and
11 obtain Part 84 approval first.

12 So we're looking it as like a tier
13 approach. You have the CBRN -- I'm sorry. You
14 have the Part 84 approval, maybe with gases and
15 vapors on there, maybe not, depending on what the
16 intended uses are.

17 And, as a second step, you would submit
18 that same unit with the CBRN canisters to obtain
19 those -- have the additional testing done to obtain
20 the additional approval.

21 If to meet the CBRN requirement now, you
22 determine -- you have to replace gaskets or valves

1 or something like that, then you would have to
2 obtain the Part 84 approval on that.

3 It's the changes that you're going to
4 make first. It may or may not require testing
5 depending on what changes you need to make.

6 MS. DEMEDEIROS: Okay.

7 MR. HOFFMAN: Does that answer your
8 question?

9 MS. DEMEDEIROS: I think so.

10 So basically, if I have a system that I
11 would need to make some material changes, you would
12 have to --

13 MR. HOFFMAN: You would have to resubmit.

14 MS. DEMEDEIROS: -- submit that, get a 42
15 CFR 84 approval.

16 MR. HOFFMAN: Right.

17 MS. DEMEDEIROS: And then when the
18 standard comes out -- wait for that approval. And
19 like I said, it might not require testing if we're
20 not asking for any additional approval.

21 MR. HOFFMAN: Right.

22 MS. DEMEDEIROS: Okay.

1 And then -- but it would have to include
2 any kind of exception that, going into the CBRN,
3 would allow us to pass CBRN testing?

4 MR. HOFFMAN: That's right.

5 MR. COLTON: Craig Colton, 3M.

6 The question of clarification on some of
7 the terminologies that's used.

8 In the concept, it mentions, for the gas
9 and vapor, it identifies tight-fitting facepiece
10 and the requirements for the loose-fitting
11 facepiece.

12 But start with the loose-fitting
13 facepiece term first, I saw in the slides that the
14 terminology was sort of mixed. It just referred to
15 loose-fitting devices and talked a little bit about
16 hoods and helmets, but yet the title refers to
17 loose-fitting facepiece, which is just one of the
18 three types.

19 I guess the question is does
20 loose-fitting facepiece requirements -- are you
21 talking about -- will that allow all loose-fitting
22 respiratory coverings, or is it restricted to just

1 loose-fitting facepiece?

2 And, secondly, is a follow up on the
3 tight-fitting facepiece, does that exclude
4 tight-fitting hoods and helmets?

5 MR. SZALAJDA: I guess the answer to the
6 first -- the second question, as far as the
7 tight-fitting hoods and helmets, is no.

8 And if it meets the criteria for Part 84
9 as tight-fitting, regardless if it looks -- if we
10 have defined it as tight-fitting, that's how we
11 will evaluate.

12 So if you have a system that seals to the
13 neck, that's a tight-fitting system. In a
14 loose-fitting, again, it's open.

15 If you meet the Part 84 requirements for
16 loose-fitting systems, if it's a hood, helmet, you
17 know, whatever, it will be evaluated.

18 MR. COLTON: And then there's a
19 follow-up, if they're allowed.

20 I'm assuming -- but that may not be a
21 good thing to do -- but in the STP that I haven't
22 looked at that's on the CD, but that would talk

1 about the sizing of those types of devices for the
2 LRPL?

3 MR. SZALAJDA: Yes, that's correct.

4 When you look at the panel, the panel is
5 built around -- if you look at the escape essence,
6 we worked off the LANL panel, which was used for
7 your traditional tight-fitting, it seals to your
8 face, methodology, and also the next circumferences
9 that were addressed as part of the escape
10 respirator.

11 And depending on what your system would
12 look like, it would fit within that context.

13 MR. COLTON: Okay. Thank you.

14 MR. SZALAJDA: You're welcome.

15 MR. VINCENT: John Vincent, North Safety
16 Products.

17 Jon, what signifies a pass/fail for
18 battery durability conditioning?

19 MR. SZALAJDA: Well, there is no
20 pass/fail characteristic on durability.

21 I used that as an example that, you know,
22 if you go through the durability conditioning, and

1 we see that something is obviously wrong with the
2 system, then we're going to open discussions with
3 the applicant as far as, you know, what we see and
4 whether or not we think your application is still
5 viable at that point, or what would need to be done
6 to address that issue, that we feel, as a result of
7 the test to identify those initial life cycle
8 failures, there is a problem.

9 And then we would use the policy
10 provisions to add additional tests to identify
11 tests or give you the opportunity to go back and
12 rework your product.

13 MR. VINCENT: So the battery -- if the
14 unit does not go on after an O2 type (phonetic)
15 condition, that's not necessarily a failure.

16 MR. SZALAJDA: Right, that's correct.

17 And part of what we're looking at with
18 the other testing is, again, where the PAPER -- the
19 user has to make a decision to put the system on.

20 If the blower is not working because of,
21 you know, the batteries fail or something else is
22 wrong, he shouldn't be putting the system on. He

1 shouldn't be going into an environment where he
2 needs respiratory protection.

3 You know, you make a conscious decision
4 about the suitability of your product before you
5 put it on and go in.

6 And as far as the certification goes,
7 when we go through the agent -- you know, obviously
8 the agent testing we're going to use with house
9 power. The battery is not evaluated there.

10 For the LRPL, we can either recharge the
11 batteries that were gone through durability, or we
12 can use other batteries that you supply for the
13 LRPL testing.

14 MR. VINCENT: Thank you.

15 MR. SZALAJDA: All right. With that, I
16 think I'm only about a half an hour behind
17 schedule, so let's take a ten-minute break, and we
18 will resume at five of 11.

19 (A recess was taken.)

20 MR. SZALAJDA: I would like to get
21 started again, please. I should say, if you guys
22 really want to leave by 5 o'clock, let's get

1 started.

2 There's just a couple of things I wanted
3 to clarify before we started back up. I guess the
4 hotel asked that for entering and exiting the room,
5 if we use the doors in the back of the room where
6 you registered or these doors over here on the
7 side, that we not use these doors here along the
8 railroad track.

9 And I guess apparently whatever activity
10 that was going on that was cheering for Les during
11 his presentation earlier is completed. So we
12 shouldn't have that distraction.

13 There's one thing that was brought to my
14 attention that I just wanted to briefly comment on,
15 as least as far as the air cylinder issue.

16 There was an announcement in the
17 International Association of Fire Chief's website
18 regarding this meeting.

19 I think it may have been misportrayed a
20 little bit as far as what the intent of this
21 meeting was.

22 We're not going to be addressing the SCBA

1 cylinder interchangeability issue as part of this
2 meeting. We're going to focus it solely on the
3 CBRN respirators and the industrial PAPR.

4 The technical committee for the NFPA is
5 working on that issue.

6 There is a report for proposals for NFPA
7 1981 which is available for public comment -- or
8 it's going to be available for public comment on
9 December 23, with an open comment period through
10 March 3, 2006, and it's going to be available both
11 online and in print from the NFPA.

12 And I would encourage you, if you do have
13 an interest in that subject, to either talk with
14 Bruce Teele, who is attending the meeting today, or
15 contact the NFPA through their contacts that were
16 identified on the website.

17 One other thing I wanted to expand on a
18 little bit.

19 I didn't give -- in retrospect, I wanted
20 to add a couple of things to an answer I gave to
21 Frank Denny earlier about the need for high flow
22 respirators for use by hospital workers.

1 And, again, I think it gets back to -- I
2 said, you know, well, I think my answer was no.
3 And that's not completely right.

4 It gets back to, you know, the selection
5 of your respiratory protection is going to be
6 dependent on the application where you're going to
7 be using the system.

8 You know, in the hospital type scenarios,
9 you may need to have a higher flow capability that
10 could be afforded by a tight-fitting system or a
11 respirator that provides a higher flow if you have
12 people carrying gurneys or things like that.

13 I was thinking from more of the
14 standpoint of the physician or I think people that
15 may have been doing more of a sedentary type -- the
16 controlled type of application.

17 So, again, it gets back to the respirator
18 selection needing to be application specific.

19 And part of the methodology that you
20 would need to do for that setting would be to
21 address the specific needs that you needed
22 respiratory protection for.

1 So at that point, I'm going to take a
2 break for about five minutes.

3 Bill Hoffman is going to provide an
4 overview of what we're anticipating to be the PAPER
5 retrofit concepts for CBRN.

6 MR. HOFFMAN: Good morning.

7 I'm going to start off by addressing
8 Goran's earlier comment about the hoods and helmets
9 possibly not being able to fit into the retrofit
10 concept.

11 And I don't think we purposely excluded
12 that. It's just not something we looked into at
13 this time. And we had discussions about it during
14 the break, and we will make the changes necessary
15 so that they could certainly be included.

16 For the retrofit program, we would have a
17 couple of prerequisites, of course. And as Jon
18 mentioned earlier, one would be the Part 84
19 approval.

20 The second would be the CBRN approval.

21 And then the third thing, which is
22 similar to the SCBA program, which we did for

1 retrofits, is we would be looking at field deployed
2 units that would be available for us to test.

3 Hardware requirements, we would be
4 looking for four units that had been in use from
5 approximately one to five years.

6 This would be similar to the CBRN, which
7 we're proposing. Two that had light use and two
8 that had heavier use.

9 Testing requirements, we would ask that
10 the units be fitted with a retrofit kit by a
11 factory representative. And we would ask also that
12 field units be retrofitted by factory
13 representatives as well.

14 The testing will consist of the mustard
15 and the Sarin, the same as it would be done for the
16 original CBRN approval.

17 And then other tests we would perform as
18 may be deemed necessary, which we always do. If we
19 saw something, whether it was an issue with a field
20 unit where, for example, breathing tubes tend to
21 deteriorate or something like, we may want to
22 evaluate that aspect of it.

1 Documentation requirements for a
2 retrofit, of course, as usual, would be the
3 standard application form that manufacturers, you
4 know, always submit.

5 Information describing criteria for
6 determining a retrofit eligible PAPR; what we would
7 want you to look for, what the manufacturer would
8 look for to determine that a unit was suitable to
9 be retrofitted, whether it would be inspection,
10 whether there would be certain gaskets that would
11 be necessary to be changed, and whether batteries
12 should always be replaced if the unit is going to
13 be retrofitted, or whatever is necessary.

14 Unit instructions addressing a retrofit,
15 which is pretty typical for all of our CBRN
16 applications.

17 And then the method of recording which
18 units have been retrofitted, so there would be a
19 way of tracking them.

20 And then the retrofit labeling, which
21 would probably be similar to what we have done with
22 the SCBAs.

1 Additional details being addressed at
2 this time would be the fees, which we haven't
3 actually worked them out yet, but they would
4 probably be very similar to what the CBRN PAPR fees
5 are, just applying the applicable tests.

6 Additional QA requirements that would be
7 necessary, for example, how they're going to be
8 inspected in the drawings and documentations, what
9 is contained in the kit to retrofit it, and any
10 performance differences that we may have to address
11 between the industrial and the CBRN requirements if
12 there was determined to be any difference.

13 And, again, we haven't worked through
14 this. This is a brand new concept for us. The
15 presentation is rather short, but are there any
16 specific questions on this?

17 Sorry, Jon, you didn't get much of a
18 break.

19 MR. DESANTIS: In 5.5, you stated you
20 wanted to test some PAPRs that been out in the
21 field from one to five years, light duty, heavy
22 duty.

1 It's theoretically possible that you're
2 coming up with a new configuration for the CBRN
3 standard, you have got to get your 42 CFR Part 84
4 approval first.

5 It's theoretically possible that might go
6 out in the field for a week, and you turn right
7 around and you submit an application to CBRN
8 because you have done all of your pre-submission
9 testing.

10 It might be impossible to meet 5.5.

11 MR. HOFFMAN: You're saying because the
12 unit is too new, it's too recently introduced?

13 MR. DESANTIS: It's carrying out new
14 components for the first time.

15 MR. HOFFMAN: That's right.

16 And we have discussed it.

17 But then the other side of the coin, I
18 guess, is how do we evaluate units that have been
19 in the field to see if they are retrofittable, if
20 that's a correct word.

21 So I'm not sure what the final solution
22 to that will be at this point.

1 I can envision you submitting for a Part
2 84 approval, coming back, submitting for a CBRN
3 approval, the -- you have already had the Part 84
4 approval on a very similar unit for some time,
5 maybe not for some time, and now you want to
6 retrofit those that have already been sold, but
7 none of those have been sold -- maybe for only six
8 months, is that what you're --

9 MR. DESANTIS: Let's just say, for
10 instance, if you're marrying it up with an APR
11 approved negative pressure facepiece. It's proven.
12 Even they haven't been out that there that long.

13 Now you're trying to configure a blower
14 and a hose that's going to meet all of the
15 requirements. They're not out there yet, possibly,
16 and married with that facepiece.

17 Maybe some manufacturers already have
18 something. Maybe some manufacturers don't.

19 I just find it real, real hard to meet
20 5.5 if it's brand new.

21 MR. HOFFMAN: Okay. If it's brand new, I
22 guess, the point I'm missing is there won't really

1 be any out there just like that to retrofit.

2 MR. DESANTIS: So if you can't bring
3 something in that has been out in the field for
4 five years under heavy use, all of this is -- your
5 first approvals for CBRN only go back to 2003.

6 MR. SZALAJDA: I think I understand where
7 you're going with this, Vic.

8 I think the initial approach that we took
9 to the retrofit was we looked at there's a lot of
10 products that are already out there that have been
11 marketed and sold as chemical warfare agent
12 protected, you know, those types of things.

13 There's a lot of pieces of equipment that
14 have Part 84 approval. You know, you may have a
15 degree of confidence that it's going to meet the
16 warfare agent testing, but you need to do something
17 to it to get it to meet the CBRN requirements is
18 the way it's currently envisioned.

19 Now, we looked at that as being a target
20 audience. And we looked at transitioning the
21 requirements that we identified for the APR, and
22 some of the things, the approaches from the SCBA

1 with regard to how they had been used to bring
2 those ideas forward into this paper.

3 I think the type of situation you're
4 defining, it might get into a case-by-case type of
5 basis, depending on your particular product, would
6 be, you know, if you have different components,
7 it -- still, if it falls back to the different
8 stages that, regardless if you're marrying up, you
9 know, a facepiece and adding a blower or other
10 components, you're still going to have to get a
11 Part 84 approval of that system first.

12 And then once that happens, we can take a
13 look at it from the standpoint of what additional
14 CBRN tests, as far as do we need to do specific
15 tests to address specific things based upon what we
16 know and what has already been tested regarding
17 your piece of equipment, and build it from that
18 way.

19 So I think for newer pieces of equipment,
20 we probably just have to work the program on a
21 case-by-case basis.

22 MR. HOFFMAN: And possibly take what's

1 the oldest in existence rather than -- and maybe
2 that is only six months.

3 I would expect all of those to be in good
4 condition, anyway.

5 MR. SZALAJDA: I almost feel like, if
6 you're familiar with the movie Independence Day,
7 when -- I think it's Randy Quaid is flying the jet
8 at the alien saucer, and, you know, as he's flying
9 up the, you know, to explode the plane in the
10 missile silo, and he says, I'm back, because you
11 know the inevitable is coming.

12 And we're talking about the industrial
13 PAPR, and I'm expecting that there's going to be a
14 lot of questions and a lot of discussion on this
15 area.

16 So I'm back, and we're ready to talk
17 about the industrial PAPR and the implications for
18 the CBRN Step 2 program.

19 But the thing that I like about this
20 presentation, it gives me a chance to be a little
21 philosophical about where I hope the branch is
22 going in the future with the different modules of

1 requirements that we're looking at evolving and
2 producing and incorporating into Part 84 as far as
3 changes that we can make in the approaches for
4 identifying performance requirements and ultimately
5 equipment certification and availability for the
6 users in terms of products.

7 And when we look at the industrial PAPR
8 module, I think there's a huge opportunity here for
9 influencing how we develop standards for the
10 industrial sector and what we do for Part 84 for
11 years to come.

12 And it's an opportunity to change the
13 paradigm that we have been working under for the
14 past 35 years as far as codes of federal
15 regulations and the definition of requirements and
16 how we address developing and certifying equipment
17 to meet those requirements.

18 But I think the things that I feel are
19 important, you know, with regard to the industrial
20 concept, and the thing that's become apparent to me
21 the longer I have been with NIOSH, is that in
22 looking at what we develop a one-size-fits-all

1 approach isn't going to work for this type of
2 technology.

3 That in identifying requirements, and
4 trying to identify one set of requirements across
5 the board, it's going to be too restrictive for
6 some applications, and it's not going to be
7 protective enough for others.

8 Another thing that's become apparent to
9 me in this evolution, when you look at how we
10 define the performance requirements for the
11 respirators and building on the tiers of
12 protections and the tiers of performance
13 requirements are that the respirators really need
14 to be flexible in how we test for them in
15 relationship to how they are used.

16 And examples are -- I think, a good
17 example is what we have done over the past four
18 years with the CBRN program, that we have gone
19 through. We have done a hazards assessment. We
20 have determined what the potential threats were,
21 you know, and identified performance requirements
22 on how to provide the proper degree of protection

1 for use in those types of scenarios.

2 And, again, it needs to be, as far as
3 defining these requirements, how do we define a
4 federal regulation to be flexible enough that you
5 can tailor specific requirements for specific
6 applications.

7 And what we're going to pursue here over
8 the next couple of months is a concept to
9 categorize performance requirements into different
10 areas.

11 And at least as far as for the
12 discussions today, I'm not going to really debate
13 what we should call these categories.

14 We can call them A, B, C or X, Y, Z or
15 Type 1, Type 2, Type 3.

16 You know, those types of details we can
17 work out in this type of forum or through the
18 process over the months to come.

19 But from a philosophical standpoint, I
20 see these types of categories falling into a few
21 different areas.

22 And basically they are defined -- or I

1 defined them for today as base requirements,
2 enhanced user requirements, and advanced specific
3 requirements.

4 And you can sit there and say, Well, that
5 sounds like a lot of mumbo jumbo, but I think there
6 are some specific ideas I wanted to share with you
7 with regard to each of those categories.

8 And the first is base requirements.

9 And I see base, or Type 1 or Type A or
10 whatever we call it, as being performance
11 requirements that all PAPRs should exhibit,
12 regardless of where or how they are used.

13 And I think some examples are, with the
14 PAPR you need to maintain positive pressure in the
15 breathing zone.

16 That's the purpose of why you have a
17 powered air-purifying system. You're maintaining a
18 positive pressure in the zone where the individual
19 is breathing.

20 You know, inhalation, exhalation
21 requirements, how easy, how hard it is for
22 individuals to breathe while you're wearing the

1 respirator.

2 And things like a low pressure indicator.
3 How do you know that you are maintaining that
4 positive pressure in the mask, whether it's an
5 audible indicator, a visual. You know, those are
6 details that will be worked out over the next
7 several months with the program.

8 But I think you would agree with me, or I
9 hope you would agree with me that when you look at
10 these types of requirements, whether you have a
11 PAPR with a half -- a half-mask PAPR that
12 essentially looks like the nose cup with a harness
13 that's attached to a blower, to a hood or a helmet,
14 to a tight-fitting CBRN type respirator, all of
15 these systems will do the same thing.

16 The level to which they may do it may
17 change, but the basic performance requirements for
18 any type of system would be the same.

19 And then the second step or the second
20 tier or the second set of requirements relates to
21 what I call enhanced or enhanced user requirements.
22 Again, this could be Type B, or Type 2.

1 But these would be requirements based on
2 the type of system being evaluated.

3 For example, if you have a tight-fitting
4 full-facepiece CBRN respirator, we expect you to
5 have a hard lens to resist the penetration and
6 permeation effects of chemical warfare agents.

7 And we also expect that you would be able
8 to work and do a high level of work in an abrasive
9 type environment for several hours.

10 So what types of requirements would be
11 appropriate for that?

12 Well, obviously a guy working at one type
13 environment where we want to have a field of view.

14 You want to be able to see his
15 surrounding environment to operate in a safe
16 manner.

17 The lens is going to need to provide a
18 degree of resistance. If he is in an abrasive type
19 environment, you know, there may be particulates or
20 other things or just as a matter of course of doing
21 work, he rubs his -- he has a glove full of grit,
22 and he happens to rub his lens in a reflex action,

1 that the lens is going to resist the effects of
2 abrasion.

3 Also, things like low temperature
4 environments.

5 Some of the things that we have heard as
6 part of our evaluations and benchmarking over the
7 past couple of years is, Let the community decide;
8 let the manufacturer and users decide what their
9 requirements are for operation.

10 If I, as a manufacturer, say this unit is
11 only good down to zero degrees, then don't test it
12 at minus ten. Don't test it at minus 20. But test
13 it for where the lowest operating temperature is
14 defined.

15 And then the third area, or Type 1, Type
16 C, or advanced specific requirements, are
17 performance requirements tailored towards a
18 specific workplace use.

19 And I think we see some living examples
20 of that today with the CBRN respirators being
21 developed for a very specific population to do a
22 very specific purpose.

1 I think some of you are aware, and we
2 have talked about it at other public meetings, of
3 work that Dr. Art Johnson is doing for us at the
4 University of Maryland, looking at potential
5 requirements for a PAPR used in mining operations.

6 That type of hazard analysis, as well as
7 determination of functional performance
8 requirements could blend into these types of
9 advanced requirements.

10 And also health care.

11 We have talked about in other forums the
12 work that we are doing for the healthcare community
13 in developing a hazard assessment with the Army and
14 Optometrics to address what we think healthcare
15 workers could see in their applications in the
16 hospital setting, and tailor that along with work
17 that we're currently doing with the University of
18 Pittsburgh Medical Center in the Center for
19 Environmental Medicine looking at PPE needs for
20 hospital workers and the healthcare industry.

21 So, again, I think that the attractive
22 thing to me about this type of concept, or at least

1 for this stage of requirements, is that we can
2 tailor specific requirements to the different NIOSH
3 workplace sectors that Les had mentioned this
4 morning.

5 And knowing that, at least initially, we
6 may be addressing very specific sectors where we
7 have done work, where we have done CBRN, where we
8 have done mining, where we have done health care,
9 other -- maybe agriculture or some other sectors,
10 but we can tailor requirements to address those
11 workplace scenarios.

12 And then in the future, as we become
13 smarter and do our due diligence in identifying
14 hazards analysis and parameters associated with
15 hazards analysis and performance requirements in
16 each of the different sectors, we can tailor and
17 implement those types of modifications into this
18 new procedure over the years to come.

19 And it may be something that I won't see
20 all the sectors covered before my retirement in
21 another 20 years or so. But with the methodology,
22 I think this would open up the room for advancement

1 in our standards and be able to address the
2 evolving workplace as well as being able to address
3 evolving technology with respiratory protection.

4 I wanted to mention, while we don't
5 specifically talk a lot about Step 2 -- and Terry
6 Thornton will address a lot of the parameters that
7 we have -- the technical parameters that we have
8 tried to cover with the Step 2 program in his
9 presentation later today -- but we see a lot of the
10 technical work, when you look at addressing
11 physiological work rates, testing -- high flow
12 aerosol testing for particulates in our gas and
13 vapor testing, or the work that we have done with
14 indicators, whether they're low flow or battery
15 indicators, those types of parameters will
16 transition into the requirements for the industrial
17 standard.

18 Now, what you have seen in the concept
19 paper -- and please keep in mind that the concept
20 paper is an iterative process.

21 The concept paper is patterned very much
22 like what you would see in Part 84 today.

1 And it's my hope that where we are a year
2 from now, when we have a public meeting, getting
3 ready to begin the rulemaking process, is that the
4 concept paper doesn't look like that you see today,
5 that it's going to be broken down into this
6 categorization to give both applicant --
7 manufacturers and applicants and hardware
8 developers and users the flexibility to address
9 performance requirements and allow the user to
10 select respirators based on protections that they
11 need.

12 But the Step 2, at least as far as the
13 things that we have worked on and we have briefed
14 you over the past couple of years and that you have
15 seen in the evolution of our concept paper, those
16 specific requirements you're going to see as part
17 of a CBRN respirator that will be identified in the
18 industrial module when it's released.

19 We're planning on having another meeting
20 in the late spring of next year to discuss the
21 current state of the industrial module.

22 And hopefully we will have gone through a

1 couple of iterations of concept papers by then,
2 looking to put out one during next quarter that
3 reflects the categorization idea, and then expand
4 on that prior to us getting together in a public
5 forum.

6 We're planning on still continuing to use
7 the concept paper and the public meeting process
8 through the beginning of formal rule making.

9 And at that point then, the structure of
10 how rule making is done will give us a little more
11 focus and a little more formality with regard to
12 the introduction and review process associated with
13 the concept.

14 And my colleague Mr. Berryann put
15 together a nice presentation that discusses rule
16 making. And I think that would be a good topic for
17 us to present the next time we get together as we
18 further evolve this concept.

19 But having said that, it's going to be a
20 long process.

21 There is no short and easy fix that if we
22 have done our technical due diligence and are ready

1 to go and begin the formal process by the end of
2 2006, it's a fairly long administrative process to
3 go through the actual release of a module through
4 the rule making processes.

5 I think the advantage, though, of still
6 continuing to proceed with the concept paper and
7 individual stakeholder dialogue, as well as these
8 forums, is it's going to allow us the opportunity
9 to do a lot of technical clarification and have a
10 lot of technical discussion prior to the beginning
11 of that rule making process.

12 So when we get to rule making, we're not
13 specifically addressing a lot of technical detail,
14 which tends to bog down the implementation.

15 And with that, I would like to have Bill
16 Hofmann come up and talk a little bit about what's
17 different in the concept papers that currently
18 exists, and then we will be happy to take your
19 questions.

20 MR. HOFFMAN: Back in July of '05, we
21 presented the first of the concept papers for the
22 industrial PAPER standard.

1 And what I would like to do this morning
2 is to go over what those were and what has changed,
3 and what has remained unchanged.

4 And some of this -- a lot of this is
5 based on the comments that you made at the meeting
6 in July, and the rest of them are based on things
7 that we have learned since that time, or comments
8 that were submitted to the docket that we evaluated
9 and incorporated where we could.

10 What does remain unchanged is to place
11 all the PAPER requirements in one subpart of Part
12 84.

13 And as those of you who are familiar with
14 it know there is no specific PAPER area right now,
15 and requirements are either placed in different
16 sections, or they have been incorporated by policy
17 because a lot of that -- of the design criteria
18 wasn't envisioned when the regulation were written.

19 We would like to clarify, consolidate and
20 update the requirements.

21 A lot of times clarification is needed
22 because some of the things in the regulations are

1 confusing as they're applied to PAPRs.

2 We do want to incorporate the breath
3 response requirements, which we had before because
4 that is a relatively new development, and it wasn't
5 envisioned when the regulations were written.

6 We want to keep the existing categories
7 that are the requirements of subparts A to G
8 because they tend to be the general design
9 requirements that apply to all respirators.

10 And we want to provide provisions for the
11 positive pressure units, which I will talk about
12 here in a minute.

13 Design considerations, again, is
14 unchanged from July of '05.

15 Things like accessible switches, the
16 harness design, where it has to be comfortable and
17 held close to the users, the containers, impact
18 resistance.

19 The low pressure real time indicator,
20 that was originally presented in July of '05, and
21 we're continuing with that concept.

22 A battery charge indicator, that too was

1 introduced, and we would continue with that.

2 And noise limitation we have always
3 incorporated for hoods and helmets to keep the
4 sound level to a reasonable level.

5 Specific performance consideration, some
6 of this we have revised since July of '05. And now
7 we are considering all PAPRs, as Jon mentioned, to
8 be positive pressure units.

9 And for the industrial PAPR, we're
10 looking at them as being approved in three flow
11 rating levels, a low level, a moderate level, and a
12 high level. And they would be tested on a
13 breathing machine at the rates, as you can see
14 here.

15 And as long as they maintain positive
16 pressure throughout that testing, then they would
17 meet those flow ratings, whichever they would be.

18 A high flow rating could, of course, meet
19 all three. The device could be switchable from one
20 to the other. It could meet only two of them, or
21 depending on what the manufacturer required.

22 An obvious question is how are we going

1 to measure that or how will we determine when it
2 goes negative?

3 And the details of that Terry Thornton is
4 going to touch on when he give his presentation,
5 so, hopefully, most of the questions will be
6 answered.

7 The filter is unchanged from July of '05,
8 and we're still looking at two filter levels.

9 We're looking at a PAPR 95, which is sort
10 of a base level filter, and then a PAPR 100, which
11 would be equivalent to the P100 we have now for the
12 one powered units.

13 One thing that we would do is we would
14 test them at the highest flow rate of the system
15 divided by the number of filters.

16 And the way we determine the highest flow
17 rate, I will get into that in a minute, but we have
18 changed that slightly, too.

19 Cartridge and canister testing we have
20 revised that since July '05.

21 In July of '05, we really only had one
22 level. We have gone back to where it can be

1 approved for cartridges or canisters, depending on
2 what the manufacturer wants.

3 We're looking at cartridges to be tested
4 the same as Part 84, except eliminating the one
5 half of the minimum service life test time that are
6 under the little footnote in Table 11, that causes
7 a lot of confusion.

8 And there's reasons for that because
9 primarily users don't inspect that. They inspect
10 the cartridges for organic vapor, for example, no
11 matter what else it's approved for, to work the
12 same as they would expect for organic vapor.

13 On canisters, we're looking at changing
14 them, and they would be tested the same as CBRN.

15 It simplifies it. It updates it. And in
16 my view, it naturally lends itself to the second
17 approval, which would be coming in for a CBRN
18 approval, which we would expect manufacturers to do
19 with a lot of these.

20 The flow rate is the highest flow rate,
21 again, for testing, divided by the number of
22 canisters or cartridges that would be on the unit.

1 Other testing we looked at that's revised
2 from July of '05, a CO2 machine test. We're
3 looking at revising that whole test, the test
4 procedure itself, to modernize it and to update it.

5 We would be testing it at 14.5, which is
6 a sedentary rate, respirations per minute, 10.5
7 liters a minute.

8 Breathing gas, human subject test, we
9 would be always looking at performing the test with
10 human subjects where they would walk at
11 approximately three and a half miles an hour.

12 We're looking at the oxygen depletion and
13 CO2 buildup.

14 LRPL, we're looking at two values.

15 The minimum for industrial approval would
16 be now 2000, where what was presented in July of
17 '05 was 10,000, or the manufacturer could request a
18 10,000 to eliminate the necessity, if they wanted
19 to later submit it for CBRN approval, of having to
20 go through that LRPL test a second time.

21 This would be as requested by the
22 applicant.

1 Once you have -- the concept paper that
2 was put on the web, of course, is evolving as we
3 go, and as Jon talked about, the three levels, now
4 the base, the enhanced, and the specific
5 performance level.

6 But I think a lot of the base concepts in
7 the tests that we're looking at have remained
8 pretty much the same from what I had talked about
9 back in July.

10 Are there any questions for this?

11 MR. HEINS: Draeger Safety, Bodo Heins.

12 I would suggest that you -- that simple
13 PAPR be able to -- for example, you have a very
14 dusty working place.

15 Why should the customer find such a high
16 efficiency PAPR. It's not necessary for him.

17 Or if he knows that he only has one or
18 two specific gases, why should he buy an approved
19 industrial PAPR if he only wants a very simple one?

20 MR. HOFFMAN: Okay. The idea was you
21 could have it approved for whatever gases you
22 wanted, however you want to do it.

1 We're not saying that -- the CBRN doesn't
2 mean that you have to meet all of the CBRN
3 requirements for a canister, but we're looking at
4 the same test levels that we have for the CBRN.

5 So if the canister is approved one way,
6 it works for the other.

7 If you look at the gas mask canister
8 requirements now on the industrial side and you
9 look at the CBRN, the test concentrations and the
10 time are different.

11 We're looking at them all being what has
12 been presented for the CBRN to make it consistent.

13 Does that answer your question?

14 MR. HEINS: Yes.

15 MR. HOFFMAN: Okay.

16 MR. SZALAJDA: Let me kind of expand a
17 little bit on what Bill was saying.

18 I think what we envision with the --
19 going to the different -- the categorization
20 approach, is that we want to try to provide the
21 flexibility because we recognize one size doesn't
22 fit all.

1 You know, that when you look at -- and
2 will give you an example. Chip manufacturing,
3 individuals were PAPRs, but they're not wearing
4 them necessarily to protect themselves from the
5 products of the manufacturing process. They're
6 wearing it to protect the manufacturing process
7 from contamination of your products of respiration.

8 Yeah, that type of requirement, you know,
9 there's no reason for that individual to wear a
10 CBRN canister.

11 So the standard needs to have the
12 flexibility to provide that type of powered
13 air-purifying respirator capability, but allow the
14 user to work with the manufacturer to select a
15 filtration component that's applicable for that
16 particular workplace environment.

17 And I think where it becomes contingent
18 on us as far as standards developers and upon the
19 manufacturing community as far as product
20 developers is to work to try to educate the user
21 community as much as possible through guidance
22 documents, through your user documents, through the

1 training programs to bring up the levels of
2 sophistication of the use so that they can
3 recognize and be able to make those decisions and
4 product selection and not have it necessarily
5 mandated through a one-size-fits-all approach to
6 the development of a standard or performance
7 requirement.

8 MR. HEINS: So I understood it wrong,
9 that an industrial PAPR does not have to be
10 approved against all the APR -- CBRN APR gases?

11 MR. SZALAJDA: Yeah. I think that's
12 essentially correct.

13 I think the thing that we're trying to
14 show is that when you look at Step 1, the
15 foundation of Step 1 is built upon Part 84 as it
16 exists now with the TRAs.

17 And when you get to Step 2, you're still
18 going to have the same TRAs, and you're still going
19 to go through a series of performance requirements.
20 You're going to have base requirements that address
21 inherent breathing characteristics of the system,
22 other requirements that may look at lens abrasion,

1 and then you're going to have the CBRN requirements
2 for agent testing and LRPL, and those things at the
3 end.

4 It's not necessarily all tied together.

5 And, as Bill was saying, the development
6 of the -- the concentrations that you see in the
7 current concept paper are based on feedback that we
8 have gotten because we still hear from the user
9 community that if you need a canister or if you
10 need gas and vapor protection, they would prefer to
11 have one canister to do everything or do as many
12 things as possible, rather than have to select --
13 from a cost standpoint of selecting other canisters
14 to meet difference operations.

15 So we're trying to be sensitive to those
16 types of requirements as we move forward.

17 And again, with the concept being an
18 iterative process, I think you will see some
19 differences as we move forward.

20 MR. GREEN: Larry Green with Syntech
21 International (phonetic).

22 I noticed on your particulate testing,

1 you were specifying only DOP type testing, and the
2 numbers of markets used to evaluate it, health care
3 and others, they don't have a minimum requirement.

4 Is there a reason why?

5 MR. HOFFMAN: Yeah, that's correct.

6 On the DOPs is much easier to do. It's
7 easier to maintain the equipment.

8 And if you noticed on the slide, the DOP
9 was an instantaneous test. So the difference is
10 essentially the same as if we were to do salt,
11 except it's not going to load.

12 The PAPR 100 was the one where we would
13 load it with the DOP.

14 So if you were to take an N95 now and do
15 an instantaneous test with DOP, the results would
16 be about the same.

17 So it's initial filter efficiency when
18 tested against DOP.

19 MR. BERNDTSSON: Goran Berndtsson from
20 SEA.

21 I think I have some comments here. I
22 understand because it's so early in the development

1 of the standard (inaudible). There is a couple of
2 things I would like to highlight.

3 What you are doing now is very similar to
4 what we are doing in ISO. And I think that we
5 should look closer so we that don't end up and get
6 the differences.

7 (Unintelligible)

8 The other thing that you should look on
9 is that we are also looking on a higher level of
10 protection on P100. You maybe should consider a
11 higher level of particulate penetration than the
12 P100.

13 MR. HOFFMAN: Okay. Discussions we had
14 were to possibly consider lower also, looking at a
15 90 percent efficient filter, but there's not to say
16 we shouldn't look at it both ways.

17 We do know from the air-purifying, the
18 non-powered one, where we have all those levels,
19 there are very few that stall outside -- you have
20 your N95s and P100s, and there's very few that fall
21 in the other range.

22 So there didn't either seem to be an

1 interest on manufacturers or users for them.

2 But we picked these two because they were
3 the most predominant with the non-powered units.

4 MR. BERNDTSSON: But I think on the
5 borderline on P100 now you will have people who are
6 doing the total inward leakage test.

7 They have to be much better across -- we
8 probably should not be making it a possibility late
9 in the day to choose equipment for a higher level
10 of equipment if so needed.

11 MR. SZALAJDA: That's a good point.

12 And I also wanted to mention that we have
13 been tracking what the ISO Group has been doing
14 with regard to the respirator standards
15 development, and we're looking to establish that
16 synergy between the work that's being done with the
17 ISO community into the industrial module for Part
18 84 update.

19 I thought you were going to get to
20 escape, Bill.

21 MR. PFRIEM: Point of clarification for
22 me.

1 MR. SZALAJDA: You are?

2 MR. PFRIEM: I'm Dale, from ICS --

3 MR. SZALAJDA: Thank you.

4 MR. PFRIEM: -- for anybody who couldn't
5 possibly know.

6 On the 95 percent filter, we have got a
7 95 percent instantaneous only, no loading, but then
8 also with no dynamic loading, i.e., no silica dust
9 test --

10 MR. HOFFMAN: That's correct.

11 MR. PFRIEM: -- of that system at all.

12 And how do you guys justify that?

13 MR. HOFFMAN: Because there would be a
14 low pressure monitor in the system.

15 And if the pressure inside the facepiece
16 drops below ambient, it will alarm the user that
17 he's not getting sufficient air.

18 So we didn't feel we needed a silica dust
19 test. And also that test has been so --

20 MR. PFRIEM: No. I'm just saying loading
21 in general.

22 You're not loading your filter. You're

1 not loading the system. There's no dynamic loading
2 at all.

3 MR. HOFFMAN: Right.

4 But as soon as the air pressure, the air
5 flow drops as detected by the pressure, then it
6 depends on the design of the system.

7 We feel that the user will know that it's
8 time to get out of that environment.

9 MR. PFRIEM: You haven't assessed filter
10 denigration under loading conditions, and it
11 happens all the time.

12 MR. HOFFMAN: Well, we would assume that
13 the 95 filter would be for -- as was pointed out
14 earlier -- for instances where there is not non-oil
15 aerosol, and it's sort of a base filter.

16 Now, whether we need to get into a 95
17 tested against DOP in loaded and not, we haven't
18 gotten that far yet.

19 The initial concerns were, we sort of
20 needed one for healthcare, which would be the 95 or
21 environments similar to that, or we would need sort
22 of what I would term the industrial one, where it's

1 good against anything.

2 Most of the people that we have that are
3 users that call, tend to pick one or the other.
4 They said, I don't know how to determine in
5 between, should I just go with the P100 and be
6 safe, and then they know.

7 And that's usually the one they select.

8 MR. PFRIEM: I kind of understand, but I
9 disagree because we see lots of filters that you
10 can test instantaneously, and these guys are
11 fantastic, they're great. Then you load them, and
12 they're awful.

13 So for the record, I would advise that
14 you guys reconsider that.

15 Also, what's the rational basis for
16 degrading your LRPL down to something on the order
17 of 2,000?

18 MR. SZALAJDA: I will take a shot at
19 that.

20 Again, it gets back to, I think with
21 the -- and this is where we appreciate the
22 comments.

1 You know, in looking at what the LRPL
2 value means, it's an inward leakage. It's
3 respirator fit. It's a number to determine how
4 well -- how much protection the system is affording
5 to leakage, inward leakage of a contaminant.

6 The leakage that we saw in trying to work
7 to address the OSHA First Receiver Guidance was to
8 link a safety factor on top of that assigned APF
9 that OSHA identified of 1,000 for PAPRs and the
10 healthcare setting.

11 And through testing at 10,000, we put
12 a -- that's a safety factor of ten on that APF
13 value.

14 And the selection of 2,000, again, until
15 we get a further clarification as far as a
16 definition of how the systems are used, that could
17 change.

18 We may have a base requirement that all
19 PAPRs have to meet that as a minimum, but depending
20 on the application, that value changes.

21 I mean, it's still open to consideration
22 during the process.

1 MR. PFRIEM: Have you guys done any
2 attempted correlations at APFs as established by
3 Portacount methods, other corno (phonetic) methods,
4 and the LRPL?

5 MR. HOFFMAN: We're just looking into --
6 actually, it's in another program area.

7 But we are looking into Portacount
8 testing as a possible substitute or second test.

9 MR. PFRIEM: Not as far as a substitute,
10 but just to rationalize your basis for using the
11 20,000 APF on the LRPL test bed method.

12 MR. HOFFMAN: Not yet, that I'm aware of.

13 MR. SZALAJDA: Yeah, not yet.

14 MR. PFRIEM: You might do that.

15 MR. SZALAJDA: Okay. Thank you.

16 MR. SAVARIN: Mike Savarin with Bullard,
17 again.

18 Ex-ICS by the way.

19 And I completely agree with what Dale was
20 saying about the degradation of the filters, but
21 that's really not what I want to talk about right
22 now.

1 I heard something, and I just need some
2 clarification.

3 If I understand this correctly, there's
4 no loading done on the 95 because the principal is
5 there's a low pressure indicator in the system to
6 nevertheless -- to justify no loading.

7 But we're going to still have the same
8 load pressure system in the loaded P100 case.

9 MR. HOFFMAN: Right.

10 MR. SAVARIN: So we can just remove that
11 as well then. I mean --

12 MR. HOFFMAN: Well, I guess the concept
13 is different.

14 The loading on the P100 is to evaluate
15 degradation of the filter rather than to see if it
16 will load down the blower itself.

17 Our intentions would be if there's a low
18 pressure indicator, that we would actually do
19 measurements to bring the system down to ambient
20 and find out if there's a low pressure alarm, that
21 it does, in fact, alarm when it reaches ambient.

22 So I'm not looking at loading of the

1 filter and if the system is loaded down and the air
2 flow stops as being the same, if you will.

3 We're looking at that differently.

4 MR. SAVARIN: I'm thinking about how we
5 originally had nine classes of filter.

6 MR. HOFFMAN: Right.

7 MR. SAVARIN: And you gave people these
8 options.

9 MR. HOFFMAN: Right.

10 MR. SAVARIN: What we saw in the
11 marketplace was definite, was a stratification of
12 the marketplace into two levels primarily based on
13 cost, if you ask me.

14 There's a risk of the same thing
15 happening here because that's what people are going
16 to do.

17 We're going to have to be very clear
18 about exactly when you should be using this PAPR 95
19 versus when you're using this PAPR 100 in a
20 situation that's very clear.

21 And I'm not entirely sure that that's
22 clear right now.

1 MR. HOFFMAN: Right. As I'm seeing it
2 just based on the discussion here, we may, in fact,
3 move from two to more than two, but we didn't want
4 to go into the full nine for the reasons you
5 pointed out, that people just tend not to use them,
6 and it's confusing.

7 Possibly two is too few, but nine seems
8 to be too many.

9 MR. SAVARIN: I'm just wanting to make
10 sure that we can explain in a rational way to the
11 user what it is they need and why they need it.

12 MR. HOFFMAN: Yeah. And I would think we
13 would be able to do that with either user documents
14 or in the user's instructions that explains the use
15 of the PAPER itself.

16 MR. SAVARIN: All right.

17 MR. SZALAJDA: Thank you, Mike.

18 And I think this is a good opportunity to
19 reflect back, though, on really the need for
20 identifying your experiences, whether you're from
21 the manufacturer side standpoint, or the
22 independent test lab standpoint, or the user

1 standpoint in as far as there are specific things
2 that you really think we need to address.

3 And I think this filtration topic is a
4 good idea.

5 If there's things that you have seen as a
6 result of your experiences, or market trends, or
7 things of that nature that you think are important
8 for us to consider, then either through individual
9 meetings with us or formal comments for the docket,
10 it's a good opportunity to bring those to our
11 attention.

12 MR. HOFFMAN: Any other questions?

13 MR. DUFFY: Rich Duffy, I'm with the
14 International Association of Fire Fighters.

15 I'm just going to have one quick question
16 because I want to show you that I paid attention to
17 your slides with the real small type.

18 There was one section in there that we
19 have concern with, and that's the statement that
20 these respirators shall not be used in IDLH
21 environments.

22 Because we're dealing with a WMD agent or

1 agents, and, of course, which were perhaps or
2 released intentionally to cause just that, I
3 believe almost every environment, with the
4 exception perhaps of the manufacturing process, the
5 release of these agents will be always an IDLH
6 atmosphere.

7 Because if they're not going to be
8 characterized. And when they are characterized, it
9 will be much, much later.

10 I'm not proposing that this be the only
11 respirator protection for a WMD event -- and we
12 will obviously supply respirator -- an SCBA will be
13 meeting this -- but for long-term use at a site,
14 these respirators probably would be appropriate.

15 But they're not -- the site is not going
16 to be characterized.

17 So that one statement, at least the
18 statement that was lifted from the other APR PAPER
19 standards saying that they shall not be used in the
20 IDLH atmosphere have eliminated all of the work
21 you're doing developing that standard and all of
22 the money that these manufacturers are going to put

1 into developing these respirators because there
2 isn't going to be any market for them.

3 Of course the OSHA and the NIOSH decision
4 logic will show that these respirators can't be
5 used because it's an uncharacterized environment
6 that's IDLH.

7 So I'm not expecting an answer today, but
8 let's revisit that in this process and then perhaps
9 characterize where these can be made.

10 MR. SZALAJDA: That's a good comment,
11 Rich.

12 I know that has been an area of
13 discussion over the years as far as the use of
14 air-purifying technology and IDLH environments.

15 And we have heard comments both ways
16 regarding potential use, as well as what
17 traditional policy has been, but that's a good
18 point to consider.

19 MR. DUFFY: And just another quick
20 personal note, if I may.

21 And I don't work for NIOSH, and I don't
22 work for the government. I work for a labor union.

1 But I noted earlier today an announcement
2 was passed out about the customer satisfaction
3 survey that the NPPTL is doing.

4 I certainly encourage not only the people
5 in this room, but all of the people that you work
6 with to please fill that out. I think it's
7 important.

8 And I don't care how you fill it out, so
9 I'm not lobbying for good grades on this whole
10 thing. But I think if we want to see NPPTL grow as
11 we envision it to be, these surveys are important.

12 It's not about a hotel survey of how
13 comfortable your bed was last night. This survey
14 is pretty important.

15 So just on a personal note, I would like
16 to just bring that up.

17 Thank you.

18 MR. SZALAJDA: Thank you, Rich.

19 And, actually, that was a good lead into
20 the last comment I was going to make before lunch,
21 that there are two PCs set up in the back of the
22 room just for you to do that, to fill out the

1 survey.

2 So if you could take advantage of that
3 either during lunch time or over the break, I would
4 appreciate it.

5 Since we're right up on noontime, we will
6 start -- we will start at 1:10 with the PAPR
7 benchmarking, and we will resume at that time.

8 Thank you.

9 (A luncheon recess was taken.)

10 MR. SZALAJDA: All right. I have been
11 told we're five minutes late, so we're going to
12 start.

13 What we would like to do for the balance
14 of the afternoon is to review some the benchmark
15 testing that we have accomplished in our laboratory
16 since the last time we got together in July, at
17 least as far as identifying for you how that may or
18 may not impact the definition of the performance
19 requirement for the PAPR standards to come.

20 And then we will have a presentation by
21 Kathryn Butler from NIST and then have some remarks
22 on our closed-circuit SCBA.

1 With that, I would like to let Terry
2 Thornton lead a discuss now on the PAPR
3 benchmarking.

4 MR. THORNTON: All right. I hope
5 everybody had a good lunch. I will try not to put
6 you to sleep after those large meals that I know
7 everybody has had.

8 It looks like everybody is in now.

9 It looks like we're a little bit behind
10 the time on our presentation. I think I was
11 supposed to start at 11:30, so we will try to get
12 through this in enough time that we can get the
13 closed-circuit and the other presentation done.

14 I'm up here today to talk a little bit
15 about some of the experiences that we have had in
16 the laboratory.

17 In the past year, two years we have been
18 working on the PAPR, and we have done quite a bit
19 of work to that.

20 As we have stepped into this area here,
21 where we're doing the Step 1 and then a Step 2, the
22 majority of work that I have been looking at and

1 doing is really geared towards that industrial,
2 what is the Step 2 standard or the industrial
3 standard?

4 So today I'm just going to talk about
5 some of the experiences we have had in our lab,
6 kind of in four different areas.

7 A lot of the work that I have been doing
8 in the laboratory -- this mic is not the greatest
9 here.

10 Rich Vojtko and Jeff Palcic both are EG&G
11 engineers. They have been working with me quite a
12 bit in the lab.

13 Harry Walburg, also he -- I don't know
14 how his name got off here -- but he has been doing
15 a lot of the work here also.

16 We just accidentally left his name off
17 here.

18 So let's get started.

19 I have got four areas that I'm going to
20 discuss a little bit about each, probably not spend
21 a whole lot of time on this.

22 And some of this is information you got

1 in the last public meeting. I'm going to rehash it
2 a little bit just to catch up everyone.

3 The first area is the high flow
4 particulate testers. I know everybody is
5 interested in that.

6 And this is one of the areas that is also
7 geared toward the Step 1, the current application
8 or the current module that we're going to look at,
9 and will also be used in the Step 2.

10 The service life tests are really geared
11 towards the higher flow, the industrial. The air
12 flow measurements, I think we talked about that
13 quite a bit last public meeting.

14 And then alarms. We will discuss that at
15 the end.

16 And if I can make my computer move here.
17 High flow particulate testers.

18 I know I talked about this a little last
19 year. And at that time, we had not -- we had
20 ordered two high flow particulate testers, one from
21 ATI, one from TSI.

22 As of today, we have both of those high

1 flow testers in. They are located in what's
2 considered a small building, Building 104 on the
3 laboratory.

4 It's rather small. It was unoccupied, so
5 we could put both of these testers in there. It's
6 the only thing in there right now.

7 There's two of them. One from ATI, which
8 is really a modified model TDA 100P, and the other
9 is the TSI 3120 is the model of it.

10 Both of these high flow testers were
11 custom built for flows -- the specs said flows
12 between 100 liters a minute and 500 liters a
13 minute.

14 Now, I haven't tested that top end yet,
15 but I think it's up there at the 480, 490, maybe
16 500 liters a minute. Whether it can go beyond
17 that, we're not sure.

18 The specs really called for following the
19 P100 specifications as it was written in 42CFR Part
20 84.

21 Both testers have been powered up and
22 preliminary studies have been started on there.

1 DOP has been generated for both of them.
2 We have actually got them going. We have got the
3 DOP generated.

4 We have done some gravimetric tests.

5 It did take a little bit of extra time to
6 get these things going for some reasons, and we
7 will kind of go through them.

8 Some of the experiences we have with this
9 was, first of all, power requirements to come in.

10 Both of them need a much larger vacuum
11 pump to run than the traditional TSI 8130. And so
12 that larger vacuum pump made us look at the
13 electricity requirements in that facility.

14 Once we got both of them in there, we
15 noticed one thing, when you get two large vacuum
16 pumps going and both pieces of equipment running,
17 you get some pretty high noise levels.

18 We tested that. It's somewhere between
19 the 85 and 90 decibels, depending on where you're
20 standing in there, which is not unreasonable. But
21 if you have to work in there all day, it's
22 something you need to be concerned about to try to

1 minimize that noise for the individuals working in
2 there.

3 Hopefully, when we get a new location, we
4 get a new building, or we get some other facility
5 to put these in, we're going to be able to move
6 those vacuum pumps out and put them out in some
7 kind of separate office, separate building out
8 there, maybe minimize that noise.

9 Another idea is if we get more than these
10 two testers in, larger supply, instead of using
11 separate vacuum pumps, we will get a larger vacuum
12 pump to take care of both of them or the four of
13 them, whichever we come up with.

14 So that's another experience that we had
15 in handling that.

16 The next thing was the DOP.

17 As you know, you are generating DOP, and
18 it has to generate enough DOP to cover 500 liters
19 per minute. Each time you operate it, there's a
20 lot of waste DOP.

21 We thought the laboratory was going to be
22 set up, we could just dump this in a fume hood and

1 get rid of it. As we all know, sometimes it
2 doesn't always work that way.

3 So we had a little bit of work on air
4 handling units and how to get ride of that DOP, get
5 it out of the building.

6 So we have kind of come to some terms on
7 that, how we can discharge it properly.

8 The gravimetric testing, we have done
9 some preliminary gravimetric test, and I'm not
10 going to say that we have done a whole lot of it
11 yet. We need to do more and more.

12 One of the things we noticed at 100
13 liters per minute, we do pretty good.

14 We get up to 150 liters a minute, we
15 still do pretty good. We can get the DOP on the
16 filter -- and this is flat filter paper.

17 We get up above 150, around the 200 liter
18 a minute range, we start to see the paper just
19 tears.

20 It just rips out in different places.
21 The penetration goes up, and so we have to stop the
22 tests.

1 We have got a couple of solutions for
2 that that we have in mind.

3 And the first is we're just going to use
4 some thicker paper to maintain it so that it can
5 handle that higher flow.

6 Another alternative is to use multiple
7 sheets on there, so that when we do the gravimetric
8 tests, we will have multiple sheets to withstand
9 that resistance, or that air flow.

10 The problem with it is, whenever you add
11 multiple sheets, you get thicker paper, you get
12 higher resistance, and we don't want to build up
13 our resistance in the testing all the time.

14 One other way we may be able to keep the
15 paper tearing is to add a better support medium
16 that holds up the filter paper.

17 Right now it's kind of a grid network,
18 it's about three-eighths inch holes, and we think
19 maybe if we go to a screen, we can support that
20 filter paper a little bit better, but we want to
21 make sure that we don't drive our resistance up in
22 this.

1 All right. Specifically, this is the TSI
2 3120, the high flow tester, it has an external
3 pump.

4 As you can see, and if you're familiar
5 with the TSI equipment, it's the same frame it was
6 operated for the 8130.

7 So it takes up the same amount of space,
8 it's on wheels, you can move it back and forth, you
9 can do your maintenance back behind it, it's a
10 pretty good piece of equipment as far as how much
11 room it takes up.

12 The pump down at the bottom, the -- after
13 I shot that photograph, I noticed you really can't
14 tell what size that is. It's about three -- two
15 and a half, three feet long, sits on the floor.

16 The hose is long enough that we could
17 maneuver that in some different places to get it
18 out of the way. But it does create some noise when
19 you're running it.

20 For the TSI equipment here, the
21 gravimetric tests, we have got some preliminary
22 results. If we're flowing at 100 liters a minute,

1 we can deposit 200 milligrams somewhere around 12
2 to 14 minutes is how long that takes.

3 Now, we don't have enough data to confirm
4 that number. I need more data at that flow to see
5 what that number is going to be, how long it's
6 going to take. And also over time, we want to see
7 if that stays consistent.

8 The only thing we have to compare that to
9 right now is the TSI 8130.

10 That takes approximately 23 to 30 minutes
11 to deposit 200 milligrams of DOP at an air flow of
12 85 liters a minute. So we're relatively in the
13 same range.

14 The ATI tester that was delivered, like I
15 said, this was a modified version of their 100P
16 high flow tester. It still has the external pump.

17 The only real difference is ATI built a
18 small box that contains the vacuum pump, some extra
19 DOP, some other parts down there. So that can be
20 sealed up a little bit.

21 But it still takes up about the same
22 amount of space as the TSI equipment.

1 This one is not on wheels, so we had to
2 leave it out a little bit, so we could do the
3 maintenance from behind.

4 But in this situation, it doesn't seem to
5 be any kind of problem at all.

6 This white tubing off the back of it, was
7 how we get rid of the DOP, the excess DOP. We use
8 a vacuum blower on the back of that to pull it out.

9 For this one, gravimetric tests, 100
10 liters a minute, 200 milligrams of deposit,
11 somewhere between 27 and 30 minutes. And that's
12 real limited data on that.

13 I think I have only run six or seven of
14 those DOP tests, or the gravimetric tests on that.

15 So whether that number stays right there
16 or not, we will have to see as we run some more
17 data on it.

18 Again, you compare that to the 8130,
19 again, it took 23 to 30 minutes.

20 And that's one of our pieces of equipment
21 over in certification. And I scanned that over
22 about the last six months. That was the time it

1 took, as they calculated that almost every day or
2 every couple of days.

3 And, again, that's at 85 liters a minute.

4 So these are two pieces of equipment.

5 We just kind of wanted to show this, so
6 we know we had talked about them, wanted to know
7 what we had, get some pictures so you understand
8 what we were talking about with the high flow
9 testers.

10 The next big question is what's our next
11 step for validation?

12 Since we have already run some, run some
13 DOP, we understand that we are generating -- we
14 think we are generating the right amount. The next
15 step is to size the particle. And this is really
16 the standard, right here.

17 Medium diameter, .185 plus or minus .02
18 microns. Standard deviation not to exceed 1.6.

19 That's actually out of 42 CFR.

20 We're going to get some equipment in to
21 actually prove that that's the size particle that
22 we have. So that's really our next step. If

1 either one of the pieces of equipment are not
2 generating the right size particle, we're going to
3 go back to the manufacturer to discover why they're
4 not generating it, what we can do to make sure the
5 right particle is being generated.

6 But that's very important to hit that
7 particle size because that's what's stated in 42
8 CFR.

9 The next step will be some verification
10 of consistent gravimetric tests at the various
11 flows.

12 Now, here is where we need to look at two
13 parts. For Step 1 of the PAPR standard that we're
14 going to come out with here in a couple of months,
15 the air flows of that is 115 liters a minute and
16 170 liters a minute, 115 for tight-fitting, 170 for
17 loose-fitting.

18 So those are two numbers that we want to
19 know gravimetric tests, how much DOP is deposited
20 on those two air flows.

21 And we want to see how long it takes for
22 the 200 milligrams, and whether that's consistent

1 when we look at the piece of equipment itself.

2 Not only the one piece of equipment, but
3 it is consistent between the two that we have, two
4 different manufacturers.

5 Correlation studies between the high flow
6 testers and the TSI 8130.

7 The 8130 only goes up to around 105 maybe
8 115 liters a minute. These high flow testers start
9 at about 100 liters a minute.

10 So we have got a small window there that
11 we think we can do some correlation testing, take
12 some manufactured canisters, test them on the
13 8130s, and then test them on the high flow testers
14 at the same flow to see if we get consistent
15 penetration results, if we can correlate those two.

16 The fourth step is sufficient filter
17 elements run at various flows to give consistent
18 penetration results.

19 One of the key questions there is how
20 many is going to be sufficient filters.

21 And really, at this time, we haven't done
22 any kind of mathematical study yet to figure out

1 how many will be running at what flows, but that's
2 pretty far down the step.

3 The next -- the last thing we will be
4 doing, since we bought two of these, these are the
5 first two really generated, the first two produced,
6 even if we get both of these to agree with each
7 other, we get the right particle size. We get the
8 right consistent gravimetric tests. We still need
9 to make sure that more of these can be manufactured
10 and can go to that same standard.

11 It's important for that because we know
12 the manufacturers will be looking at buying some
13 high flow testers.

14 We need to make sure that they will work
15 if they purchase them from either ATI or TSI. They
16 can take them into their office, into their lab,
17 and that they will give some kind of consistent
18 results, consistent with what we bought.

19 Any questions on the high flow testers?

20 And I'll take questions after each of
21 these four different areas.

22 MR. SAVARIN: Mike Savarin, Bullard,

1 again.

2 Oh, it's working. Excellent.

3 Terry, it's very common to use anywhere
4 from one to five sheets of filter media, just
5 during the correlation verification validation of
6 the performance of the machine. So I don't really
7 see that being an issue.

8 The breathing resistance thing, we're
9 talking about very low loading of DOP, very short
10 time scale, 12, 14 minutes.

11 I don't really see what the big issue is.

12 Tell me what the big issue is with the
13 filter media.

14 MR. THORNTON: We just haven't put the
15 multiple sheets in there yet.

16 MR. SAVARIN: Okay. So this is just
17 something that hasn't happened yet.

18 MR. THORNTON: Yeah. That's really where
19 we are.

20 We put some single sheets in there.

21 We did have some tear at about 200 liters
22 a minute. So you have brought me very good news if

1 you think that we can double up those sheets and
2 put three sheets on there.

3 MR. SAVARIN: Yeah. I think it should be
4 fine.

5 MR. THORNTON: Then we should be on our
6 way to solving that problem.

7 MR. SAVARIN: Thank you.

8 MR. VIJAYAKUMAR: I'm Vijay from TSI.

9 On this loading test, why are you loading
10 a flat sheet? Is it to test the concentration
11 you're getting in the system, or are you trying to
12 load your PAPER filters itself?

13 MR. THORNTON: Well, we need to
14 understand what the time is to deposit 200
15 milligrams.

16 That's --

17 MR. VIJAYAKUMAR: Instead of trying to
18 build up sheets and so forth, why don't you adopt
19 the same practice done in other filter testing
20 standards with flows as much as 2,500 CFM, where
21 they take a sample, so that you don't load up 500
22 liters a minute through one square foot of media,

1 thereby you don't run into this problem of tears or
2 added back pressures.

3 Ultimately, if a system has got enough
4 aerosol coming through it -- and both systems, from
5 what I see the picture, are relatively well mixed,
6 a representative sample will not materially affect
7 your estimate of how much loading time you're going
8 to need.

9 MR. THORNTON: All right. I think what
10 you're saying is instead of just taking a flat
11 sheet and weighing it, running the whole flow
12 through there, measuring -- actually weighing out
13 the 200 milligrams, we could take a slipstream of
14 that --

15 MR. VIJAYAKUMAR: Right.

16 MR. THORNTON: -- five, ten, 25 liters --

17 MR. VIJAYAKUMAR: Even 100 liters.

18 MR. THORNTON: -- and do a smaller area.

19 MR. VIJAYAKUMAR: Even 100 liters.

20 I believe the 8130 or the equivalent from
21 the ATI and the 100 feet will handle 100 liters a
22 minute on a flat sheet.

1 MR. THORNTON: All right. And maybe
2 that's another answer. We can try that.

3 Any other questions on the high flow
4 testers?

5 MR. RUSKEY: Rich Ruskey -- yeah, thanks.
6 Rich Ruskey, ATI.

7 My question was you're running -- you're
8 going to do gravimetric tests at 100, 115, and 130.

9 Why so low?

10 In terms of the machine is actually rated
11 for 500 liters per minute.

12 MR. THORNTON: Yeah.

13 MR. RUSKEY: I would imagine you were
14 going to look for a point somewhere out near the
15 higher end.

16 MR. THORNTON: I think we're very
17 concerned about the 115 and the 170 just because
18 that's the flow specifically of some PAPRs we will
19 be testing.

20 When you get into the second step, or the
21 industrial PAPR, there is where we're going to
22 measure the actual flow rate of the PAPR system and

1 test the filters according to that flow rate.

2 So we will have to go up some higher
3 flows.

4 And so we probably will go up and try the
5 maximum to see what the gravimetric tests shows at
6 that area.

7 MR. RUSKEY: Well, let me just make this
8 comment, then.

9 If you're going to be testing filters
10 below 120 liters per minute, they can use the 8130
11 or the ATI 100P, and it's a less expensive machine.

12 MR. THORNTON: Yes, it is.

13 We do have that area where tight-fitting
14 or loose-fitting PAPRs, if they come in with one
15 single filter element, we would have to test them
16 at the 115 liters a minute or 170 liters a minute.

17 So there is a need even right now with
18 the standards that currently set 42CFR to be able
19 to test at those higher flows.

20 All right. No other questions?

21 MR. PITTS: Question.

22 MR. THORNTON: Can I jump ahead before

1 you get there?

2 MR. PITTS: What's that, Terry?

3 MR. THORNTON: I said can I jump ahead
4 before you get there?

5 MR. PITTS: If you want to.

6 MR. THORNTON: No. Go ahead.

7 MR. PITTS: Did I take that you -- the
8 manufacturers come up with various tidal volumes,
9 various plenums between the filters and the various
10 manifolds that they may come up with, you, NIOSH
11 will still not test that particular PAPR with those
12 various possibilities of tidal volumes in play when
13 you're taking a look at filter performance.

14 Is that a correct statement?

15 MR. THORNTON: No. I think we will take
16 into account what we measure the PAPR at.

17 That's our intentions, not in the Step 1,
18 but in the industrial Step 2 process.

19 We're going to measure the PAPR, and then
20 test the filters at that flow the PAPR produces.

21 Is that what you were asking, or are you
22 asking something about how many filters we can test

1 as a system?

2 MR. PITTS: I'm concerned that a
3 manufacturer may come up with a bizarre filter
4 manifold that will affect their performance of
5 filtration, and that we will not test that plenum,
6 that tidal volume, as a system, but will test the
7 filter's performance at the manufacturer's rated
8 liters of air per minute, but we won't have that
9 plenum in play when you evaluate the various
10 systems.

11 Is that a correct statement?

12 MR. THORNTON: That -- well, we're not --
13 luckily we're not finished with our standard out
14 there yet.

15 That's something that we did -- we have
16 looked at before on whether we need to test it as a
17 system or whether we need to test it as individual
18 canisters.

19 Now, I think the direction we're going
20 now is to test it as individual canisters with
21 the -- as we look at that apparatus, if you can see
22 that there is -- and maybe we need to test this in

1 some way, but if you can see that it's equal
2 distribution of flow, the air comes in all three or
3 all four, or all two canisters, if that's equal,
4 then I'm not sure if we need to test the manifold
5 with those different canisters on there, as a
6 system.

7 Now, if we can look at that and say it
8 didn't look equal, it doesn't look like it's
9 essentially coming in all three or all four at the
10 same time, we need to allow some testing to
11 evaluate that.

12 And if it's not equal, if that would mean
13 that Canister A of a line of three would be
14 receiving much higher flow than Canister C, when we
15 would do some type of testing to show that it is
16 equal, or maybe we will let the manufacturer give
17 us the information that it is equal.

18 MR. PITTS: That sounds very prudent,
19 Terry, and we are relieved to hear that.

20 MR. THORNTON: All right. But that will
21 go along with both particulate testing and service
22 life, gas life testing.

1 So that kind of hits both things there.

2 And hopefully we can put enough written
3 into the standard that we will not need to test
4 them as a system, but we will have the assurance
5 that it is equally distributive flow throughout the
6 system, throughout the manifold.

7 MR. PITTS: Terry, could I make one more
8 statement to Jon?

9 MR. THORNTON: Yes.

10 MR. PITTS: Respectfully, we think that
11 handling a maybe a 300-pound non-ambulatory
12 casualty on a decon line, it would be indicative of
13 high air consumption for those decon individuals,
14 or AKA first receivers.

15 MR. SZALAJDA: Yeah. I agree.

16 That's -- and I don't know if you were --
17 after the break, I caveated the answer I had given
18 to Frank earlier, that we could see that the
19 other -- it gets back to for the selection of your
20 respirator, you need to look at the application and
21 your hazard assessment for those handling gurneys
22 and things like that.

1 You're going to need something that
2 addresses the higher physiological demand.

3 MR. PITTS: Thank you.

4 MR. THORNTON: No problem. Thank you.

5 All right. I think that wraps up the
6 questions on the high flow particulate.

7 I will go in a little bit of the
8 benchmark testing for service life tests.

9 And these are some tests -- a lot of
10 these are things that you probably saw in the last
11 public meeting if you were there.

12 The presentations from the last public
13 meeting are still out on the internet. You can get
14 to those pretty easily.

15 A little experience with high flow
16 service life testing. And when I talk about high
17 flow testing and service life, you're really up
18 there above that 170 mark that we know that NIOSH
19 now can test at.

20 When you get up into 200, 250, 300 liters
21 per minute of air flow, we don't know exactly how
22 many units or how many PAPRs are going to come in

1 with that much higher air flow.

2 So what we're trying to do is prepare for
3 that. We don't know what that upper limit could
4 be, we think it's up there maybe around 300 to 400
5 liters a minute.

6 And that's why our high flow testers were
7 at 500 liters a minute. We're trying to cover that
8 range up there.

9 Some of the experiences we found with
10 high flow testing is traditionally we use a half
11 inch tubing in our service life test.

12 We develop the challenge agent. It goes
13 in.

14 When you take a half-inch tubing, and you
15 increase that air flow up to this 200, 250 liters a
16 minute, you increase the pressure quite a bit.

17 And we, at first, thought we could deal
18 with that, it was okay, because when you start to
19 understand it more, that pressure needs to really
20 be much lower.

21 So the higher air flows caused increased
22 pressure in the system. We need to cut that down

1 as low as we can.

2 I would like to have it right at
3 atmosphere, but it's hard to push a gas through
4 something if you don't have some pressure
5 somewhere.

6 So we want to keep it as low as we can.
7 And right now it looks like even at 300 liters a
8 minute, I can get somewhere down to .4 inches water
9 column pressure inside my system, maybe even lower.

10 One of the reasons that pressure is so
11 important is the humidity values.

12 We're now -- for CBRN, we're testing at
13 80 percent relative humidity. If you have got a
14 little bit of pressure backing up in that system
15 there, you just can't generate that 80 percent
16 relative humidity. It's very difficult.

17 One of the reason it needs to be reduced
18 as much as we can, keep it down to atmosphere,
19 that's also how the PAPRs are used. They're used
20 in the atmospheric condition.

21 One of the areas we came across is just
22 open that pipe size. We went to some

1 one-and-a-quarter-inch piping. It's a lot bigger.

2 It's a little bit harder to manipulate.

3 Right now we're using just regular old
4 piping from Home Depot.

5 Now, we understand that we may not be
6 able to use that for the actual testing due to the
7 fact that chemicals may react with it. We will
8 have to look at the material of that.

9 But for right now, we're just trying to
10 get that sized for what we can get away with and
11 still keep a reduced pressure.

12 One of the ways to not have high flows is
13 by doing the single canister testing in the
14 laboratory.

15 By taking the air flow of the unit and
16 dividing it by the number of canisters and testing
17 those canisters individually.

18 The last thing we have looked at, a
19 couple of times when we want some very high flows,
20 high humidity, we went to some dual Miller Nelsons,
21 where we just stacked them on top of each other and
22 we would split that flow in half using two Miller

1 Nelsons to produce the flow and the higher humidity
2 that we needed to get in there.

3 When you have a single large flow going
4 through the Miller Nelson to get a high humidity,
5 you have to put a lot of heat into the system to
6 get the water into the air flow.

7 When you develop a lot of heat, that heat
8 continues on down to the tester. And we all know
9 that our temperature is 25 degrees C that we need
10 to test at.

11 So that's one of our problems that we
12 have had, we have kind of worked out by using some
13 dual Miller Nelson controllers for establishing
14 that flow and that humidity.

15 I will cover pretty quickly here some of
16 the benchmark testing.

17 A lot of this testing has already been
18 reported, and you can see what we have used.

19 Most of this was done for a tight-fitting
20 PAPR units, already had NIOSH approval. We bought
21 it right off the market. They were both constant
22 flow and demand responsive units. And they all had

1 two or three canisters that were purchased as a
2 first responder type canister.

3 For constant flow, at the time we started
4 this, we were going to look at the flow ebb of the
5 PAPR, and we had measured, I have got four
6 different units that I use, I measured the flow,
7 the maximum air flow of those according to the
8 NIOSH standard at the time.

9 And that was the air flow that we used.

10 For the demand responsive unit, we were
11 setting it at 300 liters a minute at that time.

12 Sometimes we tested them as singling
13 canisters. We also tested them as using the
14 manifold or the blower housing for the actual PAPR
15 unit.

16 And then other times we have a box set up
17 that can handle up to four different canisters, and
18 we would use that.

19 You will see some comparison in there.

20 Single canisters, the air flow is
21 divided. Two test chambers, two or more canisters
22 used in addition to the manifold.

1 This doesn't want to move very fast for
2 me up here.

3 This was for Model A, and we looked at a
4 couple of different gases for it.

5 And you can see the three on the left,
6 marked 1S, and that may be difficult to see in the
7 back, but the three over here, this set of data,
8 this set of data, this set of data were all done as
9 individual canisters at that fair flow, divided by
10 the maximum.

11 In the middle, if I don't blind my
12 workers over there, these are some manifold -- we
13 actually used the manifold of the piece of
14 equipment.

15 And then the last one was where we just
16 used the box that housed the two or three
17 canisters.

18 What you can see especially, this is, I
19 think, ammonia. They're pretty even, pretty
20 consistent across the service life.

21 Model B, again, the gases may not be the
22 same from one model to the next. But, again, we

1 get very consistent readings across as far as
2 service lifetimes.

3 And Model D, I guess Model C didn't get
4 too much testing done to it.

5 But, again, we can see that we have
6 pretty consistent service lifetimes whether we test
7 it as a single unit, single canister unit, or as
8 the multiples either in the manifold or using the
9 box.

10 What this really gives us a very good
11 indication that we should be able to test all ten
12 of the TRAs at higher flows, and that what's out
13 there right now on the market should be able to
14 pass the test.

15 One problem we did run too was phosphene.

16 And if you have done testing with
17 phosphene, the bed depth is a concern here.

18 Some preliminary data I did a couple of
19 weeks ago, I had a two canister system. I set it
20 up for phosphene, 300 PPM at 300 liters a minute.
21 So there was a box, two canisters were in there,
22 300 liters a minute coming through, and I got

1 almost instantaneous breakthrough.

2 In other words, as soon as I let the
3 phosphene start to flow through, I looked down at
4 the detector, I would get breakthrough from that.

5 I set that up a couple of times to make
6 sure I didn't have a leakage, and that continued to
7 give that instant breakthrough.

8 I could take those same two canisters,
9 lower that flow down to about 120 liters a minute,
10 still maintain 300 PPM, the same canisters now,
11 start this test, and the breakthrough would fall
12 less than .3 PPM.

13 And that's the breakthrough for the
14 phosphene.

15 So that shows that the phosphene, you
16 don't have to be concerned with the bed depth. And
17 this is something you will have to keep in mind so
18 that it can pass that test.

19 But I think that they can be made to pass
20 the test.

21 Phosgene turned out just the opposite.
22 The phosgene I was generating came from a cylinder

1 of 2 percent phosgene. And I just couldn't find a
2 breakthrough time.

3 I ran several tests, both multiple and
4 single canisters. At the 30-minute mark, I just
5 stopped the test. I was using up a lot of
6 phosgene, about to hit the end of the cylinder.
7 And I consistently got more than 30 minutes out of
8 that.

9 So phosgene could not be a problem.

10 Any questions on any service life
11 benchmark testing we ran across?

12 MR. SAWICKI: Jack Sawicki from Global
13 Secure.

14 Can you go back to the phosphene data for
15 just a second? I have a question on that.

16 MR. THORNTON: Yes.

17 MR. SAWICKI: At 120 liters per minute,
18 what was the time?

19 MR. THORNTON: I didn't run it to
20 breakthrough.

21 MR. SAWICKI: Didn't run it. Okay.

22 MR. THORNTON: I think I left it on there

1 ten minutes or so.

2 And I could see during that time I was
3 less than .3.

4 I think my detector was recording about
5 .1PPM, so it was less than the breakthrough.

6 MR. SAWICKI: So you didn't run it out to
7 failure?

8 MR. THORNTON: I didn't run it out, no.

9 I think at that moment, phosphene is also
10 one of those gases that's kind of hard to get ahold
11 of in large quantity.

12 So you're running a cylinder of either
13 one or 2 percent.

14 MS. DEMEDEIROS: Terry.

15 MR. THORNTON: Yes.

16 MS. DEMEDEIROS: Edna DeMedeiros, North
17 Safety Products.

18 MR. THORNTON: Go ahead.

19 MS. DEMEDEIROS: Okay. I'm just
20 wondering, are you planning on doing all of the
21 canisters at once once you get your high flow under
22 control, or are you still planning on testing on

1 the single canisters?

2 MR. THORNTON: We're going to evaluate
3 them at single canisters.

4 MS. DEMEDEIROS: Okay.

5 MR. THORNTON: Yes. That's the intention
6 right now.

7 I think that's what's actually written in
8 that industrial concept paper.

9 MS. DEMEDEIROS: Okay. Thank you.

10 MR. THORNTON: All right. If there's no
11 other questions on that, if there's nobody in the
12 back sneaking up, I saw somebody moving back there,
13 we will go to some air flow measurements.

14 In this air flow measurement area, we're
15 going to talk about three different things.

16 The air flow measurement procedure.

17 The last public meeting, we had put
18 something out on a draft STP on how we would
19 measure some air flows. And I think on the disk
20 that went out this time, there's again another
21 updated draft of that.

22 That's still in draft form.

1 That's not replacing the current NIOSH
2 procedure for measuring the air flow.

3 Talk about the breathing machines.

4 We have gotten a new breathing machine
5 in. We have got a little bit of comparison data on
6 there.

7 With that, we did a little bit of looking
8 at some different PAPR models, the same
9 manufacturer, a manufacturer with one model. There
10 was just three of them that we had bought to see
11 how reproducible that data is.

12 I got a new computer up here.

13 All right. This is just a quick review
14 of what we talked about at the last public meeting
15 in July.

16 There our objective was, as you see, to
17 drive an air flow measurement, that we could do
18 both constant and demand responsive at the same
19 time, same equipment.

20 That methods, we used -- try to do
21 something, get another picture going here so we can
22 see it.

1 This method that you see described up
2 here, this is really a picture layout of it.

3 We had -- the PAPRs here, this is the
4 pressure trap, which is between the blower, right
5 after the blower and the hose. That's where we're
6 measuring the pressure.

7 You can see the facepiece is on here with
8 the head form. And this is the blower assembly,
9 it's actually a vacuum blower. This gives us our
10 air flow.

11 So we were taking the pressure
12 measurement versus the air flow.

13 We set this up, and we increased the air
14 flow or the vacuum flow through the PAPR and just
15 recorded the corresponding manifold pressure.

16 We collected several data points to
17 create a graph. It was a pressure versus the flow
18 graph. It had a good polynomial fit to it.

19 We have changed a couple of things here.

20 I just want to describe what we think
21 we're going to do a little bit different. This is
22 through some peoples comments, manufacturer

1 comments, work that we have done in the laboratory.

2 This schematic up at the top here really
3 takes the place of that picture, but this is the
4 way we're doing it now, or we think we're going to
5 be able to do it.

6 We have moved the pressure tap.

7 We were recording the pressure right
8 here, coming out of the blower into the hose. We
9 have now moved those so that we tap between the
10 canister and the blower.

11 And we also put a tap at how many other
12 canisters there are, either two or three. That way
13 we can average that out around there.

14 We have taken the facepiece and the head
15 form completely out of it. We thought that was an
16 error, where we may get some error to come through,
17 so now it goes directly on the vacuum blower.

18 We still start at zero. We got zero
19 pressure.

20 We increased the air flow through there,
21 50, 100, 150, and collect the data point that goes
22 along with that.

1 And then we can store that on a -- we can
2 put that on a graph to give us a correlation
3 between the pressure and the air flow.

4 This is really describing this bottom
5 schematic, and you can see, we have left the
6 pressure taps in the same place. That's where
7 we're measuring the pressure.

8 Put the facepiece on the head form and
9 hooked it up to a breathing machine. The breathing
10 machine will breath at the different breathing
11 rates that we can set it at.

12 We're also measuring inside the
13 facepiece, which is an important point.

14 We want to measure inside the facepiece
15 to see that it stays positive pressure, and that's
16 one of the ways we know that it's positive pressure
17 in the facepiece, hence we have a positive pressure
18 PAPR.

19 So we know it's positive, and we can get
20 the pressure here, correlate that to the air flow.

21 And this is just a typical linear fit
22 that we have.

1 You can see air flow versus the pressure
2 and inches of water.

3 This is actually one PAPR unit, two
4 different days. The red dots are one day, broke
5 everything down, a couple of days later we set it
6 up again, tried it on here, we got almost the same
7 data.

8 We really had questions of whether it was
9 a linear fittings, polynomial fit.

10 You can see this is linear, and we got
11 .9987, .9985, that's a pretty good correlation.

12 If you go to a polynomial, second order
13 polynomial, you get a little bit better fit, and
14 that takes place -- in all the times that we
15 recorded data, we get a better fit with the
16 polynomial.

17 We have done a little bit of work with
18 the breathing machines, from the pictures up here.

19 This is the breathing machine that's
20 typically used in a laboratory.

21 This one specifically we set up for 103
22 liters a minute. And this is the breathing machine

1 that he had purchased, brought in, this is from
2 Warwick Technology.

3 And it gives us a much better ability to
4 change both the tidal volume and the respirations
5 per minute.

6 And the reason we like this breathing
7 machine a little bit better, it does -- it is
8 controlled by the computer, so we can collect that
9 data. We know exactly what's going on.

10 We tell it how to make that wave form.

11 Where this one is fixed, it uses a
12 Silverman cam.

13 One of the drawbacks is this is just a
14 sine wave, where this is a Silverman cam.

15 The bad part of the fixed volume is that
16 this tidal volume cannot be changed.

17 So once we purchased it, it comes in. We
18 can't change that tidal volume. You could change
19 the respirations, not tidal volume.

20 And you can see, this is kind of a busy
21 graph here, but the variable is what we can do now,
22 where we can specifically hit the liters that we

1 need to generate the 103, which is in the standard.

2 If you compare that to the fixed, one of
3 our problems was with this unit here, 103 liters a
4 minute, but it's 4.1 liter tidal volume.

5 Well, that's a very large tidal volume,
6 and I think larger than most would resemble a
7 human.

8 And then change it from the 86 to 103, we
9 could not change these, but they were also in the
10 wrong area.

11 The 3.43 is a much closer resemblance to
12 an actual human. So we can now run the 103, the
13 86, and the 40 liters a minute all from one
14 breathing machine.

15 This data shows at the manufacturers -- a
16 different manufacturer at the bottom, A, B, C and
17 D, and we're just comparing the maximum and the
18 minimums that we got from the breathing machines.

19 This is the air flow from the PAPR at the
20 maximum, minimum.

21 And you can see it's pretty consistent,
22 that the variable probably does a little bit better

1 job in getting an actual air flow.

2 So you could see they're not equal, they
3 are different, but that's because of the tidal
4 volume we can hit.

5 You can change this.

6 This is the same data with D,
7 manufacturer D, and it will do the 86 liters a
8 minute, and it will also do the 103 liter a minute.

9 That particular piece of -- that
10 particular PAPR will stay positive inside the
11 facepiece at those air flows of 86 and 103 liters a
12 minute.

13 The last thing on this was just
14 reproducibility of different PAPR models.

15 There was a concern that if we bought
16 from manufacturer A, we bought three different --
17 or three PAPRs of the same model, would it be
18 reproducible? Could we measure the air flow
19 consistently for those.

20 We measured a few of the air flows at 40
21 liters a minute and then at 86 liters and 103
22 liters a minute.

1 This right -- what we're going to show is
2 just really a snapshot. We could run these for a
3 very long time.

4 This is only a couple of minutes.

5 And we could superimpose each different
6 PAPR unit to see does it correlate from one to
7 another.

8 Unit A, and this is I think at a 40
9 liters a minute. We were actually running another
10 PAPR at another time, we get pretty close data.

11 The third one, relatively close, not as
12 close as I thought it would be when I first come up
13 with this to look at it.

14 As we go to PAPR model B, we can see
15 these fall a little bit closer.

16 In fact, from the back you may not even
17 be able to see the difference, except if you look
18 at the very bottom, this is the trace for Unit A,
19 on top of that is the Unit B and Unit C.

20 Another manufacturer, again, we have the
21 three traces, very, very similar to the same --
22 this is PAPR Unit D.

1 This is the one that will take both the
2 40 liters a minute, the 86 and the 103. And if we
3 want to know if these are reproducible, you really
4 have to watch the bottom of the screen here because
5 the data virtually lays right on top of each other.

6 So it is reproducible within a model from
7 a manufacturer.

8 Any questions on this, the air flow
9 measurements?

10 Good, I'm wearing you down. I have only
11 got one more place to go to.

12 We will talk about the alarms just
13 slightly, no longer here.

14 Low pressure alarm.

15 In the studies here, that we looked at
16 trying to determine how we would set a procedure to
17 test the low pressure alarm.

18 Somebody asked me a question a little bit
19 ago, it looked like at one time we had had flow and
20 pressure in the system, in the concept paper.

21 And all of a sudden we have taken the
22 word "flow" out of there. And the reason for that

1 is we just think that it's easier, it's easier for
2 NIOSH to measure the pressure inside the facepiece
3 and not the flow.

4 We had a lot of trouble trying to figure
5 out how we would measure the flow inside the
6 facepiece.

7 Now, that's not to say that your alarm,
8 if you want to measure the flow to make sure that
9 you still have flow inside your PAPR, that's up to
10 you.

11 You can do it any way you want, measure
12 pressure, measure the flow.

13 We, for the testing, are going to measure
14 that the alarm comes on when there is low pressure
15 inside the facepiece.

16 So this is the way we're going to test
17 it. We think we can do this for both tight-fitting
18 and loose-fitting PAPRs, though we need to do a
19 little bit more work on that.

20 Hopefully, we can keep this very simple
21 test. Remember, all we want to do is know that the
22 alarm comes on when the pressure inside the

1 facepiece goes down.

2 So the simpler the test, the better it is
3 for us.

4 We're going to do it both room
5 temperature and cold temperature, and we have done
6 some of this testing at both of these temperatures.

7 Come on laptop.

8 So we keep it very simple. This is a
9 device we use to do this.

10 If you can see, this is a PAPR unit over
11 here. All we have is the hose instead of the
12 canister. We have taken the canisters off. We put
13 hoses on there. We can clamp the hoses down.

14 So we are restricting the air flow that
15 goes into the facepiece.

16 We clamp the hose down.

17 Once it comes negative inside the
18 facepiece, the alarm should go off.

19 And this is one of the tests that we did.

20 I'm not sure if we did this at room
21 temperature or low temperature, but we can see this
22 is the facepiece pressure. And you can see, it's

1 breathing up and down. This is done on a breathing
2 machine.

3 We start to lower it and lower it, clamp
4 it off, and finally we get these three peaks below
5 zero. And when we get three peaks at a certain
6 depth below zero, what is no longer negative in the
7 face -- or positive in the facepiece.

8 And the alarm did go off in that area.

9 In fact, I think it went off on the third
10 peak. So the third breath that it was below
11 negative, the alarm activated.

12 Low battery.

13 We also want to try -- we're just doing
14 some studies to see how we can develop a procedure
15 to test the low battery alarm.

16 The battery alarm is to give an alert to
17 the user when there's sufficient battery time for a
18 sufficient amount of time. Right now I think we
19 have 15 minutes established in there.

20 We probably need to look at that a little
21 bit better to see what kind of time we need, and at
22 what conditions we need it at, is it room

1 temperature or is it low temperature, and what kind
2 of breathing rates.

3 All of those, there's very dynamic -- the
4 battery alarm is a very dynamic alarm. All three
5 of these will affect that time.

6 And so we will have to come up with some
7 way to develop what that time will be, what will be
8 sufficient to alert the user to leave the area.

9 We have done some testing right now.

10 The way we plan to evaluate the alarm, it
11 can have an audible or visual or vibratory alarm to
12 it.

13 We're going to measure inside the
14 facepiece, and that's our measurement.

15 We will not be taking measurements of
16 voltage across the batteries or across the piece of
17 equipment.

18 We're going to try to stay away from
19 that.

20 We're going to have the piece of
21 equipment running at a certain breathing rate, and
22 we will look at the facepiece pressure.

1 We have done some testing in the
2 laboratory.

3 We only had to models that actually had
4 an alarm, and so we were pretty limited on what we
5 could do.

6 Some of the things we did, we evaluated
7 at the minimum recommended operating temperature.
8 We just looked it up in the users manual to see if
9 the temperature was zero or minus ten.

10 If it wasn't written in there, we just --
11 for now, we just kind of came up with a number that
12 was relative to the others.

13 The batteries were not cold soaked. We
14 would cold soak the unit, put the battery in off
15 the charger, take it in there.

16 That may not be the best way to do it.
17 We're just going to evaluate that a little bit
18 more.

19 One of the units, you could not separate
20 the battery from the blower. So that unit was cold
21 soaked to do this testing.

22 What we found out really, right now, we

1 just have insufficient data to draw any kind of
2 conclusions on how we're going to do this testing,
3 and what we're going to have in the concept paper.

4 So we're always open to more comments on
5 the low battery alarms.

6 We did run some at a lower temperature,
7 which is something previously we had not done. And
8 again, we got some inconsistent battery lives on
9 those cold temperatures.

10 So we need to evaluate -- the first thing
11 we need to do is make sure we know how we're
12 testing them. Then we can evaluate batteries to
13 see if they can pass that, to actually benchmark
14 what's out there.

15 I'm not sure what you will be able to see
16 from these pictures, but if you have been in our
17 building where we do environmental conditioning, we
18 have four large chambers.

19 This is set up to do the cold temperature
20 testing, one of the chambers. This vacuum pump, or
21 breathing machine is actually on these brackets
22 here. This the outside the chamber.

1 So the breathing machine is outside.

2 All the computers and controls that go
3 along with it to monitor the facepiece pressure
4 outside.

5 The pictures at the bottom are some
6 pictures of how we're going to do it inside the
7 chamber.

8 The pressure transducers are inside the
9 chamber. And we have a camera at the bot here.
10 You can see a camera and a microphone, so we can
11 record everything.

12 The tubing just goes through into this
13 cold chamber, and here is the facepiece we can put
14 it on.

15 Any questions about any alarms and how we
16 can develop some tests?

17 MR. DENNY: Frank Denny, from Department
18 of Veterans Affairs.

19 Actually, it's the presentation before
20 that.

21 It occurred to me that you were talking
22 about phosphene breaking through almost

1 instantaneous.

2 There are certain materials that are on
3 your test list that have an instantaneous or very
4 rapid breakthrough regardless of their
5 concentration?

6 MR. THORNTON: I think the question is
7 are there some that need a certain amount of
8 resonance time.

9 Phosphene is one of them.

10 I'm not sure of the other chemicals that
11 need that resonance time.

12 I can't think of any right offhand.

13 MR. DENNY: Well, I just want to clarify
14 what I'm saying, is that there is -- there are --
15 as you increase the flow rate over the filter, will
16 there be some materials that will not be able to be
17 captured because of that flow rate?

18 MR. THORNTON: It depends on the material
19 that's inside the canister and the bed depth, how
20 much time you can leave that material in that
21 canister in reacting with the carbon.

22 So if you -- I think --

1 MR. DENNY: Will that be evaluated as
2 part of your certification process?

3 MR. THORNTON: No. It will not be except
4 that it's part of the testing.

5 We would expose it to the phosphene or
6 all the other chemicals at that concentration and
7 at that flow, they have to pass the 15 minutes.

8 MR. SAWICKI: Back to your battery life.

9 There were some interpretation questions
10 before, on -- Jack Sawicki from Global Secure.

11 Interpretation questions before, where
12 your warning had to be when exactly you had 15
13 minutes of time left, or when you had a minimum of
14 15 minutes of time left.

15 On some applications you might, as a
16 manufacturer, say we would prefer to give a longer
17 time, particularly if you went then to a cold
18 temperature.

19 The idea of saying okay, you have to have
20 a 15 minute limit of time both at a high
21 temperature and a cold temperature, provides some
22 challenges that I think might be a little too much

1 to get in this process.

2 MR. THORNTON: Uh-huh.

3 MR. SAWICKI: I recommend you maybe
4 establish a 15-minute minimum at your alarm point,
5 and then relate that to temperature independently
6 to allow us some design freedom there.

7 MR. THORNTON: Yeah. I may have
8 misspoken on that.

9 I think in our concept paper, right now,
10 that what's out there for the industrial, it is set
11 that way.

12 The 15 minutes, I believe, is room
13 temperature. And it's specific breathing rates.

14 And then at lower temperature, a colder
15 temperature, I don't think we designate that time.

16 I think we either leave it up to the
17 applicant, or we just understand that it is at a
18 lower time.

19 MR. BERNDTSSON: Goran Berndtsson from
20 SEA.

21 When it comes to the batteries, it's
22 very, very difficult because as you're changing the

1 temperature, the characteristics of the battery are
2 going to be changed.

3 And the question is what do we really
4 want here? Because the other thing is that say,
5 for example, you do some 15 minutes at the 20
6 degrees Celsius or what that means in -- 64 degrees
7 Fahrenheit, and then the person gets an alarm, two
8 things can happen.

9 He can slow down and go out, or he can
10 start working harder and go out.

11 Both of these, if it is a breath
12 responsive respirators, going to affect the time
13 that you come to the end of that alarm, or the end
14 of that service time.

15 So what you're going to have to do is to
16 work out some kind -- what does the user community
17 really want.

18 Because if you're not careful, you can
19 end up to get an alarm when there's 45 minutes
20 left, and that's probably not what we want.

21 You understand?

22 MR. THORNTON: Yes.

1 MR. BERNDTSSON: So I think that the
2 communication with the user community is very
3 important to get the permits for how this alarm is
4 going to go.

5 MR. THORNTON: Yeah. And I think that's
6 what I put out kind of in the first slide, that we
7 are looking for information on that because what is
8 a sufficient time, and at what characteristics,
9 what time of temperature, how, much demand are we
10 putting on there.

11 So it is very important, and it does
12 change.

13 We don't want to have somebody go in and
14 have an alarm that lasts for 45 minutes or an hour.
15 If it comes on prematurely, that would make it
16 rather difficult to use that piece of equipment.

17 But we also don't want to wait until it's
18 got two minutes left to go on, and then you can't
19 escape.

20 So we are looking for some of that
21 information.

22 MR. BERNDTSSON: There is one thing you

1 can do, and that is to make multiple types of
2 alarm, who will give you different alarms of
3 different times.

4 So in other words, you started with the
5 one alarm, and it is, say, 15 minutes. And when it
6 comes down to half that time, goes all the time,
7 for example, which will give them some kind -- the
8 user some kind of understanding for how close we're
9 getting to the end of life.

10 MR. THORNTON: That's true.

11 I mean, we could mandate something like
12 that.

13 We could also leave it at just a minimum
14 time and hope that the manufacturers come through
15 to put that more technology on there, more than
16 what's actually demanded from us.

17 MR. HEINS: Bodo Heins from Draeger
18 Safety.

19 Did you take into consideration that your
20 pressure sensors are also sensitive for cold
21 temperature and probably not calibrated for the
22 temperature?

1 MR. THORNTON: Actually, we have taken it
2 into consideration. It's something we're keeping
3 an eye on.

4 The transducers that we're using right
5 now are not -- they are calibrated at the lower
6 temperature, but they're really not rated for that
7 lower temperature.

8 I think we either have some things on
9 order, or we're looking at some items to make sure
10 that our transducer is able to be used in the
11 temperature we're going to be using it at.

12 And the calibration will be done at that
13 lower temperature.

14 Yes.

15 MR. PITTS: Terry, Sam Pitts, Marine
16 Corps Chem BioIncident Response Force.

17 In regards to the alarms --

18 MR. THORNTON: Yes.

19 MR. PITTS: At what point -- what
20 percentage of loss of like total advertised
21 function have you thought about having the alarms
22 go off at?

1 Like if I have got a battery life that
2 the manufacturer says last eight hours, and I can
3 blow 300 liters of air per minutes for eight hours,
4 at what percentage of loss of that total function
5 would we have the alarm at?

6 Have you though about that?

7 MR. THORNTON: For me, I think it would
8 be better to set it at a certain time, so that
9 somebody didn't have to calculate what that
10 percentage is or what that time amount is for their
11 battery.

12 All they would know is the alarm is going
13 off, I now have this 15 or 20 minute window to
14 escape.

15 If you put it on percentage, they would
16 have to know what their regulated battery life is
17 supposed to be and then kind of do some mental
18 calculations on that.

19 So that may be a little bit more
20 difficult for the manufacturer to hit as spec on
21 that, some kind of test for that.

22 MR. PITTS: As you step off across the

1 forward edge of the battle area, and you're going
2 down range, the clock is ticking, and your battery
3 life and your performance is decreasing, and your
4 air flow is decreasing your amount of time.

5 I was just curious as to what your
6 thought patterns on that were.

7 MR. THORNTON: Well, I think that's what
8 we're going for as a strict time.

9 Now, your airflow may not go down
10 depending on the type of unit you have.

11 So I think there's a lot of things to
12 consider. If you go with a percentage, that the
13 user would then have to know that going in, and
14 that may be more information than they need to be
15 carrying around in their mind at that time.

16 I would like to see just the knowledge
17 that when the alarm goes off, we have some type of
18 time limit, 15, 20 minutes.

19 But, I mean, it's a good point, and we
20 could take that into consideration.

21 MR. PITTS: A filter question?

22 MR. THORNTON: Yes.

1 MR. PITTS: Could theoretically a
2 manufacturer submit to you for testing a unit where
3 one manufacturer would have a filter that, say, has
4 500 grams of fill and another one has 100 grams of
5 fill, and they would be evaluated on the
6 performance and breakthrough based on vastly
7 different filters.

8 Would that be possible?

9 MR. THORNTON: I don't think we do
10 testing based strictly on how large the canister
11 is.

12 The manufacturer submits for a specific
13 certification, either 14G or 23C. I don't think in
14 the PAPR standard we limit or say how much carbon
15 it has to be. And I don't think we changed or
16 testing based on the size of a canister.

17 MR. PITTS: Okay. So one manufacturer
18 could submit a very large deep bed filter, and one
19 could submit a very shallow based one.

20 MR. THORNTON: And they still would -- to
21 be certified, they would have to pass the minimum
22 standard.

1 MR. PITTS: Okay.

2 MR. THORNTON: Now, if they built a
3 device that surpasses that minimum standard, we
4 would still just set a minimum standard and test it
5 to that.

6 MR. PITTS: Thank you.

7 MR. PFRIEM: Dale Pfriem, ICS Labs.

8 I was going to not come up, but then Bodo
9 posed the question, and I don't think you came to
10 the core of it, or at least not the question I was
11 going to say.

12 You guys are only experimenting with cold
13 soaking batteries now, but the issue is not just
14 your transducers and their temperature coefficient
15 effects, it's the transducers in the PAPR, and
16 those are definitely -- they have temperature
17 coefficients to them, and it doesn't seem like
18 you're -- you're only taking half of the picture,
19 and you need to take the system into perspective.

20 So when you had the dialogue with Bodo
21 about the transducers, he wasn't talking about your
22 transducers, but a total system.

1 MR. THORNTON: What could be inside the
2 actual PAPER itself.

3 You're right. I was talking about the
4 transducers that we use to take our measurements.

5 And that is very important.

6 MR. PFRIEM: Yeah. And that's not what
7 we're talking about.

8 MR. THORNTON: When you get into the cold
9 soaking of these units, how long they will be cold
10 soaked, will they be cold soaked without the
11 battery or with the battery. I don't think we have
12 come to a real good conclusion on that yet on what
13 we need to do.

14 We are going to go with the
15 manufacturers' lower operating limits. So they
16 will be able to set that.

17 And so if you're building a piece of
18 equipment, you may take that into consideration
19 based on your transducers.

20 But we do need to come to a conclusion
21 whether they need to be cold soaked for four hours.

22 MR. PFRIEM: But when you guys evaluate

1 it, or we evaluate it, it has to be a system
2 approach. It can't just be looking at half of the
3 current perspective.

4 MR. THORNTON: If you want the batteries
5 and the PAPER --

6 MR. PFRIEM: You would have to.

7 I mean --

8 MR. THORNTON: -- all put in there
9 together.

10 MR. PFRIEM: -- how could you not look --
11 how could you only -- you know what I mean.

12 MR. SZALAJDA: Yeah. Let me help, Terry,
13 here a little bit with that.

14 I think that's the beauty of the
15 categorization system because we will be able to
16 tailor specific requirements to the specific
17 applications.

18 If you are going to have a cold --
19 depending on where the system is used, if you're
20 going to have a cold temperature operation, then
21 those enhanced or those advanced requirements can
22 be applied and directed to look at the system

1 performance at cold or hot temperature.

2 And I think that's -- you know, when
3 you're looking at the snapshot of what we have done
4 for here, we're still building upon what was
5 considered as part of the CBRN application at that
6 time.

7 MR. PFRIEM: I understand.

8 I just wanted to --

9 MR. THORNTON: I would say that's a good
10 point.

11 MR. PFRIEM: What I heard, I just wanted
12 to throw out that word.

13 You can't look at half of the -- because
14 in some aspects, depending on your circuit dynamics
15 and what transducers you're using, those could have
16 a higher, you know, susceptibility to temperature
17 drift than the denigration of your battery.

18 MR. THORNTON: Right. It's a point well
19 taken.

20 Thank you.

21 MR. BERNDTSSON: On the same issue --

22 Goran Berndtsson, SEA.

1 On the same issue, that's why it's
2 important that you follow the manufacturer's
3 operation temperatures, I think, because that is
4 where it's doing to -- if the manufacturer is going
5 to know what the maximum and minimum temperatures
6 for those transducers are.

7 The other important thing is that you
8 follow the instruction in case it doesn't work
9 because it should be in the instruction what to do
10 if you don't get the right performance of the
11 respirator because it is too cold, and then you're
12 putting it on.

13 MR. THORNTON: Yes.

14 MR. BERNDTSSON: And you will do that, I
15 assume?

16 MR. THORNTON: I think there is something
17 written in the standard or in the concept paper
18 about the functionality. I think. I'm not
19 positive on that.

20 But you're right, that's a good point.
21 We do need to have that just written somewhere.

22 MR. BERNDTSSON: The system could be

1 assigned in such a way that it identified that you
2 have a drift in the transducers, and it will not
3 function properly, but get you to do some kind of
4 seals adjustment to get it back into operation
5 conditions before you can start using.

6 As long as that is identified, then it is
7 not a problem for the user.

8 MR. THORNTON: That's a good point.

9 Thank you.

10 MR. VIJAYAKUMAR: Vijay from TSI.

11 A little bit of good news, at least as
12 far as the batteries are concerned, I believe
13 there's a lot of data on extreme temperature
14 operation, draining at different rates, recharging.

15 I don't remember the association. There
16 is an international association of batteries. They
17 have published a lot of data on the RLAs, that is
18 lead acid battery, the techniques, the
19 methodologies may still apply for what we're trying
20 to do.

21 If you want to set a standard test that's
22 based on other data.

1 MR. THORNTON: All right. Thank you.

2 MR. VIJAYAKUMAR: If I have the link, I
3 will send it to you.

4 MR. THORNTON: Thank you, very much.

5 All right. If there is no other
6 questions. Okay.

7 MR. SZALAJDA: I think what we would like
8 to do, since we're pretty close to being back on
9 schedule, I would like to take ten minutes right
10 now, so we can get Kathryn's presentation set up on
11 the computer.

12 So we will reconvene at maybe 20 of -- 20
13 of 3.

14 Thank you.

15 (A recess was taken.)

16 MR. SZALAJDA: At this point, what we
17 would like to do is to start the transition out of
18 discussing PAPRs and provide a presentation
19 conducted by Kathryn Butler from NIST, who is one
20 of the principal investigators for a project called
21 Modeling Dissipation of Oxygen from an Outward Leak
22 of a Closed-Circuit Breathing Device, a project

1 that we have discussed and are collaborating with
2 NIST on, sponsored through the funding that we
3 received through Homeland Security addressing
4 research needs associated with the different
5 classes of respirators that we're working on.

6 With that, I would like to -- and I had
7 the opportunity to look at this presentation last
8 night.

9 I think you will enjoy it, and it will
10 give some good food for thought with regard to
11 design of these types of respirators.

12 So with that, Kathryn.

13 MS. BUTLER: Thank you very much.

14 I would like to start by acknowledging my
15 collaborators, Rodney Bryant, down here in the
16 third row, has been looking at this with me at
17 NIST.

18 And John Kovac, while this was at his
19 behest that we started looking at this problem in
20 the first place.

21 The closed-circuit self-contained
22 breathing apparatus, the main purpose for them is

1 to give the first responder extra time in a
2 dangerous environment.

3 Compressed air tanks contain at maximum,
4 a one-hour supply. If you're under stress, that
5 can become much less than that.

6 And there are many occasions in which
7 longer durations may be necessary, including if
8 there's an environment that is contaminated over a
9 wide area.

10 If you are fighting a fire in a tunnel,
11 mines, ships, high-rise buildings, and the CC SCBA
12 enables you to have up to a four-hour use basically
13 because the tank that you're carrying on your back
14 contains pure oxygen.

15 You're rebreathing the air. You have got
16 the CO2 in your breath being reabsorbed, and you're
17 recirculating your exhaled gas, and constantly
18 feeding in oxygen.

19 So NPPTL is developing a standard to
20 address the use and CBRN environments.

21 And there is a concern expressed from
22 firefighters in that if you have this pure oxygen

1 tank on your back, if there is a leak in a high
2 heat, radiant heat environment, is there a danger
3 special to the closed-circuit system in the fire
4 environment.

5 So the approach that we're using here is
6 to look at this using computational fluid dynamics.

7 This gives you an advantage of being able
8 to test a variety of situations with -- very
9 easily.

10 Once you have set up the initial problem,
11 you can look at various breathing patterns, various
12 geometries of the leak, change the external
13 environment that you're breathing into, and
14 visualization is quite easy.

15 The model itself will supply the results
16 in terms of what are the behaviors of various kinds
17 of chemicals.

18 In this case, the oxygen and the full
19 gas, and what kind of velocities are we looking at.

20 The first step, of course, is to define
21 the complex geometry of a person that's wearing a
22 respirator mask. We address that in a couple of

1 different ways.

2 The first thing is that NIOSH has this
3 very nice scanner. And one of the things that I
4 have in my database is my own head, which I can use
5 now to put a mask on, virtually.

6 But for this study, I used a head form
7 that NIOSH has in their experimental apparatus.

8 They scanned it in with a 3D scanner that
9 gives you a set of point cloud that contains a set
10 of X, Y and Z points defining the geometry.

11 I used some software to smooth the whole
12 thing to find where the surface was. And then you
13 can see that there is this kind of rough edge
14 around there.

15 Well, in the apparatus, that's where you
16 have some clay. And if you're putting on a mask,
17 you need to smear the clay around it.

18 So in this case, I took off the clay and
19 ended up with a nice head form that I could work
20 with.

21 Separately, because we didn't have any
22 nice CAD cam files, I took a mechanical drawing

1 that John Kovac got for me, and I don't know, a
2 month's work, managed to put that mechanical
3 drawing into the form where my CFD code could look
4 at it.

5 And here you see it in a couple of
6 different views.

7 And the next thing I have to do is to put
8 the whole thing together. And here is the final
9 setup that I have.

10 This particular mask doesn't have a nose
11 cone, but, because we're going to be interested in
12 the leak outside of the mask, that isn't necessary
13 for this problem.

14 You can see a little red line here.

15 This is a region that I have defined as a
16 leak. So I'm saying that for this particular
17 problem that I will be talking to you about today,
18 I have got a leak around the temple of the person
19 wearing the mask.

20 So here's the problem geometry that I'm
21 solving for. It's exterior to the head and mask
22 because I'm interested in the flow of oxygen out

1 into the fuel containing environment.

2 One of the things that will save me a bit
3 of time doing the study is that I can cut the
4 problem in half, and assume that I have got a line
5 of symmetry through the center of the head, and
6 then, of course, I have defined my leak region.

7 When you're setting up a problem of this
8 type, what you need to do is to have mesh that's
9 refined around the area so that you're defining
10 things in every region.

11 And here the critical area is the area
12 around the leaks.

13 So I wanted to make sure that the
14 velocities that I say I'm defining as coming out of
15 that leak are actually there.

16 So you can see that it's very well
17 defined around that leak region, and not so
18 carefully defined elsewhere.

19 And I have also defined the mesh, so that
20 in the area where the oxygen is actually coming
21 out, it's more refined.

22 The number of elements that I ended up

1 with is on the order of a half million nodes, which
2 well, basically with every exhalation or inhalation
3 it's an overnight job.

4 So these are not trivial jobs, but they
5 are doable.

6 The next thing that I have to do for my
7 problem is to set up boundary conditions.

8 I have got a plane of symmetry, so
9 basically all the gradients there, the changes in
10 every variable are zero. Around the mask, around
11 the face there is no flow except in my region of
12 leak, where I'm defining a velocity.

13 And then I have got these outflow
14 boundaries, and I'm simply assuming that there's
15 atmospheric pressure going out through those
16 regions.

17 Here you see my geometry.

18 I'm kind of showing off the capability of
19 making animations for this. And this particular
20 end point is what you will be seeing later on
21 because in a lot of cases what I'm interested in is
22 the top down view of what's going on in a plane

1 that's kind of parallel to the ground.

2 Now, this slide simply demonstrates that
3 I have got a leak in that region.

4 You can see that the velocities there
5 have very strong. And as you go to the point up or
6 down from that leak, the velocities go to zero.

7 The next thing that I need to define is
8 what kind of a breathing pattern do I want to look
9 at.

10 And for the first set of problems I have
11 done, I'm assuming 15 breaths per minute, half a
12 liter tidal volume, a regular normal breath.

13 I'm also assuming that 20 percent of the
14 breath is lost through the leak during exhalation
15 only.

16 I'm assuming that during inhalation, the
17 leak is not open. And that certainly may be
18 arguable, but that's the assumption that I'm making
19 to look at these tests.

20 With the leak the size that I have
21 assigned here, what that gives me is the velocity,
22 a boundary condition that's one meter per second

1 during exhalation only.

2 And you can see the profile that I'm
3 giving it down here.

4 So that I'm doing now is four cycles, an
5 exhalation and inhalation, then another exhalation
6 and inhalation.

7 The first set of conditions that I
8 started with was to simply assume that I have got
9 100 percent oxygen coming out. We were kind of
10 looking for worse case conditions, and this turned
11 out not to be it.

12 But under a worse case, a firefighter
13 might be standing still, not moving through the
14 space. You would have 100 percent oxygen coming
15 out. And in this case, I'm assuming that the
16 environment is 100 percent propane.

17 So I'm hoping that you in the back can
18 see this.

19 I have got, now going through, two
20 cycles. So I have got oxygen coming out and going
21 into the space, kind of moving away. This is on a
22 plane that you can see up here, which is right

1 about in the center of the leak region.

2 And you can see that during the
3 exhalation, this is coming out, kind of moving away
4 in a balloon cloud of oxygen. And as it moves out,
5 it's also defusing into the gases around it.

6 So as it moves away, it kind of becomes
7 much more amorphous with time.

8 So now what can we say about this, as far
9 as is a firefighter going to be in trouble.

10 And as a first order estimate of what
11 problems might be run into, I thought of using the
12 concept of the lower flammability limit and the
13 upper flammability limit. Below the LFL, you're in
14 too fuel lean of a region for anything to burn.
15 Above the UFL, it's too fuel rich of a region to
16 burn.

17 And so those limits kind of define a
18 space, a volume that would be a flammable mixture,
19 and you might have some kind of a problem with it.

20 Well, in this case, where you have got
21 100 percent propane coming out, if you came up and
22 looked really close, there are two contours right

1 next to the head, less than a millimeter away from
2 the head, and those are the regions that define the
3 flammable mixture.

4 So in this case, where I have 100 percent
5 propane environment, really there really is very
6 little space for any kind of a spark to ignite the
7 gases because the environments is simply so fuel
8 rich just about everywhere, including pretty close
9 to the head.

10 So I showed this at a conference in
11 October, and afterwards somebody came up and said
12 okay, here is what I would give you for a worse
13 case scenario.

14 Why don't you take an outer environment
15 in which you have got 10 percent propane, which is
16 just above the upper flammable limit of 9.5
17 percent, and then spew 100 percent oxygen into that
18 region and look at what happens with that.

19 So this is the next thing that you see.

20 And this purple region that you see
21 there, that's the contour that indicates the 9.5
22 percent propane upper flammable limit.

1 So inside of that bubble, and you can see
2 as it defuses, you can see the bubble kind of get
3 smaller and smaller, but that, inside of there, is
4 a flammable mixture, if you will.

5 The thing that I wanted to point out for
6 this, is that if you have a tank of compressed air
7 on your back, and you have the same kind of leak
8 with 21 percent oxygen coming out, you're going to
9 have the same kind of the problem.

10 This is a very dangerous situation,
11 period. And a firefighter probably doesn't want to
12 find himself there.

13 Okay. Next thing, an even worse
14 situation. You have got 5 percent propane gas,
15 which is actually inside of a flammable mixture.
16 And so this was the next problem that I decided to
17 do.

18 Again, 100 percent oxygen going out into
19 this environment.

20 And in this case, you have got a
21 flammable mixture that you're wandering through
22 here, a very dangerous situation.

1 And it's hard to see, but there is a
2 green contour there, that is the lower flammable
3 limit.

4 So in this case, you're actually putting
5 into the environment a fuel lean mixture that, I
6 don't know, I guess it makes you a little bit safer
7 in a region next to your head.

8 I don't really think so, but this is just
9 kind of looking at this particular problem.

10 And the problem that I did not do was a
11 problem in which you're moving through a fuel lean
12 environment to begin with, in which case spewing
13 out oxygen, of course, is not going to cause any
14 problems for you whatsoever.

15 So the conclusions that I came to with
16 this study are that you have got oxygen coming out
17 through a leak in the respirator, that is propelled
18 away from the head region through thevection,
19 through the velocity that it's coming out with
20 dissipates into the environment through diffusion.

21 You have got a risk of a flammable
22 mixture near the head that you can observe in a 10

1 percent propane environment, very close to the
2 upper flammability limit.

3 But this is indeed an extreme
4 environment, and a very difficult place to find
5 yourself to begin with.

6 In a flammable environment, an oxygen
7 leak may give you a small fuel lean region near the
8 head.

9 And in a fuel lean environment, you're
10 decreasing the fuel concentration even further,
11 probably not significantly.

12 But I would like to end by acknowledging
13 our funding sources, of course, NPPTL and OLES,
14 Department of Homeland Security, and a number of
15 people at NIOSH and at NIST that have helped us
16 both to conceive of this project and to think
17 through the problems involved.

18 Thank you very much.

19 I will be happy to answer your questions.

20 MR. RUSKEY: Rich Ruskey, ATI.

21 First, compliments on your presentation.

22 That was very good. I would like to hire you to do

1 some PowerPoint presentations for me sometime.

2 I did have a question, though.

3 Your boundary conditions for this test
4 using the CFD software, is the air, the ambient air
5 surrounding the head form still? Zero velocity?

6 MS. BUTLER: We decided that that was
7 also a worse case.

8 If you're going to have blowing away the
9 stuff that's coming out through the head, of
10 course, it's going to make it less of a problem.

11 So, yes, it is still.

12 MR. RUSKEY: That was what my question
13 was going to be.

14 Given normal conditions, and you had
15 maybe turbulent mixing, that would sort of mitigate
16 this risk.

17 So the worse case is where? Still air?

18 MS. BUTLER: Right, exactly.

19 MR. RUSKEY: Okay, thanks.

20 MR. BERNDTSSON: Goran Berndtsson from
21 SEA.

22 I have to agree with the previous

1 speaker. It's a very good presentation.

2 MS. BUTLER: Thank you.

3 MR. BERNDTSSON: Just one question, and
4 that is why do we choose to assume that 100 percent
5 oxygen is going to leak out of the mask?

6 MS. BUTLER: Well, we thought about that
7 as a worse case condition, as well, but actually I
8 also did a couple of problems with 60 percent and
9 with 21 percent, found that that balloon -- no, I
10 was looking at things that -- 10 percent propane
11 environment, and that balloon defining the UFL
12 contour is pretty close.

13 It's perhaps an inch or two different.

14 MR. BERNDTSSON: But I mean, in the mask
15 you would not -- correct me if I'm wrong here.

16 But you wouldn't have more than 21, 22
17 percent oxygen in the mask after the mixing
18 chamber.

19 So it would only be on the high pressure
20 side you would have a high concentration of oxygen.
21 And then you would have a constant flow if it leaks
22 out there.

1 MS. BUTLER: We looked at some -- at a
2 report that Nick Kyriazi came out with -- and
3 correct me if I'm wrong, Nick -- but I believe the
4 measured results that he had were between 20
5 percent and 95 percent.

6 There were some very high ones in the 60
7 percent range.

8 MR. HEINS: Bodo Heins from Draeger
9 Safety.

10 Yes, it's right. After some minutes,
11 middle or end of the service time of the units,
12 inhalation is nearly 100 percent, 95 to 100
13 percent, so that's not the risk.

14 We run it differently in Europe to find
15 out if it's dangerous or not. We did it in
16 practice.

17 We made a test on a dummy head. So a
18 unit operating, and we fitted less tube underneath
19 the sealing line of the mask. And then the heat
20 and flame tests were started, and nothing happened.

21 So our unit is approved in Europe and
22 complete unit also for firefighting, even if it's

1 100 percent oxygen and the breathing circuit.

2 MS. BUTLER: Excellent. Do you have a
3 report on this that I could get a hold of?

4 Excellent. I would like to talk to you
5 about that.

6 I don't see anybody else, so I will hand
7 it over.

8 MR. SZALAJDA: Thank you Kathy.

9 We're just going to need about 30 seconds
10 to switch over to the other projector, and then we
11 will have our SCBA presentation.

12 MR. KOVAC: My name is John Kovac, and
13 we're going to continue our discussion on
14 developing standards for closed-circuit breathing
15 apparatus that have been CBRN hardened.

16 Closed-circuit self-contained breathing
17 apparatus have been deployed in the hands of first
18 responders since the turn of the last century.

19 Especially in my rescue and recovery
20 operations, if we look at the photo on the upper
21 left, it's from about 1910 for the creation of the
22 Bureau of Mines, that's somewhat later.

1 Technology of course, has improved and
2 it's still being put to good use by mine rescue
3 teams to mitigate the aftermath of a major mine
4 fire or explosion, try to recover the mine --
5 rescue trapped miners, and even in some cases fight
6 fires underground.

7 Today at least in small numbers, fire
8 services have procured these devices and deployed
9 them.

10 But we need to remember that there's a
11 NIOSH limitation of use, that the apparatus, while
12 approved, they cannot be used where there is direct
13 exposure to open flame or high radiant heat, nor do
14 they satisfy any particular NFPA standard.

15 And especially, as we will come to see,
16 the positive pressure requirement at high work
17 rates. Nor are they hardened against chemical,
18 biological, radiological, or nuclear contamination.

19 So our goal is very practical, very
20 pragmatic.

21 We would like to develop standards for
22 full facepiece closed-circuit self-contained

1 breathing apparatus that address CBRN materials.

2 And it's intended use would be for long
3 duration missions involving entry into atmospheres
4 where contaminant concentrations are IDLH, and they
5 may not contain adequate O2 levels.

6 As a matter of philosophy, we tend to try
7 to develop effective standards, and we work for a
8 three-fold process.

9 First of all, the standards themselves
10 focus on performance or functionality. They begin
11 with the hazards analysis. They address human
12 capabilities and limitations. And they take into
13 account quality assurance issues at the point of
14 manufacture.

15 We would also like to see devices,
16 apparatus which are reliable. An apparatus which
17 have to some extent been tested in practical use.

18 We do this through a public process. And
19 it's public because it's transparent. Our best
20 information is made available to the user
21 community, to the stakeholders.

22 We identify who they are. We form

1 partnerships. We interact, and we try to make
2 things better.

3 Ultimately, standards are grounded on
4 good experimental science, which is reproducibility
5 and repeatability of results, hence we conduct
6 benchmarking to assure that the tests we propose
7 can be achieved, that they're practical.

8 Where there are gaps in the technology,
9 we conduct research. And ultimately, we submit our
10 best work for peer review so that it can be vetted.

11 Our accept standard is three-tiered.

12 At the base 42 CFR, Part 84 dominates.

13 It establishes the duration of the
14 apparatus. It also imposes a limitation on use.

15 We would like that to make the apparatus
16 appropriately fire hardened for use at a high
17 radiant heat and flame environment.

18 You might ask why, if there's a general
19 limitation.

20 First of all, we might be able to relax
21 that limitation. Much remains to be done in that
22 area.

1 But, secondly, in the aftermath of a WMD
2 event, the threat environment is fluid. It's
3 contingent. It's emergent.

4 To suggest that a closed-circuit
5 breathing device that's intended for deep
6 penetration, long duration missions, might not be
7 accidentally contingently exposed to a fire
8 environment would be imprudent on our part.

9 We would also like to see that the device
10 function of higher work rates, which are pretty
11 typical of open circuit devices.

12 And lastly, we would like to harden the
13 apparatus against permeation and penetration by
14 CBRN materials.

15 The concept that we're invoking calls for
16 adapting the NFPA open circuit standard, in as much
17 as practical, carrying it over to closed-circuit
18 performance.

19 Some of the things that we're going to be
20 suggesting are points of contest, points of
21 controversy and debate.

22 That debate is also welcomed.

1 There is going to be disagreement. We
2 believe that we can technically work through that
3 disagreement.

4 It is also our intention to force that
5 technology to grow, to stress it, to strengthen it,
6 make it better.

7 One of the keystones of our proposed
8 requirements is the use with automated breathing
9 and metabolic simulator for performance testing.

10 Simulators, computer controlled breathing
11 machine whereby we could program it to execute
12 different sequences of oxygen uptake rates, CO2
13 injection rates, and the like, so that we're able
14 to look at very, very high ventilation rates, very
15 high performance levels.

16 We're able to do this in a way that the
17 tests are repeatable, reproducible so that we can
18 compare results and look at performance in a level
19 sense.

20 We talk about the special requirements
21 for firefighter protection.

22 We would talk about fabric, flame and

1 heat resistance, thread and heat flame resistance
2 performance in general of the ensemble.

3 For CBRN use, we're going to look at
4 operational performance. We're going to have to
5 look at the environmental conditioning in terms of
6 accelerated corrosion, the shock and vibration
7 resistance, particulate resistance, functionality
8 of the facepiece, communications performance,
9 ultimately permeation and penetration of chemical
10 agent and LRPL, to look at respiratory protection
11 level.

12 And that's about all.

13 We will discuss these matters further in
14 the following presentation.

15 We will take any questions, and take it
16 from there.

17 MR. PALYA: We're sorry for the delay.

18 Thank you for attending the NIOSH public
19 meeting.

20 My name is Frank Palya.

21 The purpose of my presentation is to
22 discuss the special requirements and updates of

1 the concept standard for the closed-circuit
2 self-contained breathing apparatus.

3 Some of the special requirements consist
4 of the special requirements for the CBRN use, and
5 the high radiant heat and open flame requirements.

6 In addition to the base 42 CFR, Part 84
7 requirements that John mentioned here earlier,
8 their apparatus must meet both the special
9 requirements for the CBRN use, and the high radiant
10 heat and open flame resistance requirements to gain
11 NIOSH CBRN certification.

12 These are the special requirements for
13 CBRN use, lists here, the operational performance,
14 the environmental temperature operational
15 performance, vibration endurance, accelerated
16 corrosion resistance, particulate resistance,
17 facepiece lens haze, luminous transmittance, and
18 abrasion resistance, communication performance, and
19 chemical agent permeation and penetration
20 resistance to sulfur, mustard (HD), and Sarin (GB)
21 agent, and the LRPL test.

22 The operational performance must meet

1 the -- must still meet the requirements in Table 1.

2 Thank you, just in time, Jon.

3 So, again, they were -- they still need
4 to meet this performance.

5 This performance requirement was
6 extracted from the draft 1984, NFPA draft 1984
7 standard.

8 And this is the NFPA standard that --
9 it's not official, but it was a draft, and we're
10 trying to have these performance requirements in
11 addition to the 42 CFR requirements.

12 We also added a test of functionality at
13 the end of service life alarms to the requirement,
14 and any monitoring systems.

15 So in addition to this performance
16 requirement, we will test the functionality of the
17 end of service life alarms and any monitoring
18 systems.

19 There is also confusion to this
20 requirement is that it was supposed to go ahead
21 there and operate for the entire duration, for the
22 42 CFR, meeting a certain protocol.

1 I will show you this protocol right here.

2 As you can see, there's hour 1, hour 2,
3 hour 3, hour 4, and at the different workload
4 rates.

5 And the workload rates are such, workload
6 A is 100 liters per minute, workload B is 40 liters
7 per minute.

8 So there was some confusion that they
9 would have to meet for the whole rated period at
10 these workloads rate, meet the operation
11 performance of -- for -- in this table right here.

12 But this test is just a test of
13 functionality of it. It's not the test of
14 duration.

15 NIOSH will write the standard test
16 procedures for the NIOSH ABMS, and it is under
17 development right now.

18 For the environmental temperature
19 operational performance requirement, the breathing
20 wet-bulb temperature in Table 1 was waived, this
21 requirement right here, parameter right here.

22 The reason it was waived was that in the

1 high temperatures, it would be nearly impossible
2 for a unit to go ahead and have the breathing gas
3 less than or equal to 50 while it's being tested at
4 71 degrees C.

5 And that's the temperatures right here.

6 During the hot temperature at 71C, and
7 then the hot temperature shock at 71, see. So,
8 again, it would be very difficult to do that.

9 Another change to the requirement was
10 that the manufacturer gets to set the operational
11 limits of the cold temperature test. So that's
12 established by the manufacturer right here.

13 Also, in this, there's a requirement --
14 well, there's a change more to the test method, is
15 that we're going to replace the absorbent and the
16 cooling mechanism in accordance with the
17 manufacturer's instructions, between the hot and
18 cold temperature shock test, right here.

19 And the rationale behind that is that
20 absorbent degrades at these low temperatures.

21 Now the challenge may be is to do this
22 all within three minutes because between the

1 temperature -- they have a hot temperature, cold
2 temperature, you have -- there's a three-minute
3 time frame, and we're looking at replacing the
4 expendables, the absorbent and the cooling
5 mechanism within three minutes, which I would
6 imagine would be a challenge.

7 We're going to perform some benchmark
8 testing to see how it goes.

9 As far as the vibration endurance
10 requirement, the only change to this test was that
11 we're going to test, during the vibration portion
12 of the vibration test is we're going to test with
13 an empty bottle.

14 The weight difference between an empty
15 bottle and a full bottle is really insignificant.

16 It's less than 1.75 pounds.

17 So, we really feel that it won't have any
18 bearing on the outcome of the test.

19 These are the CBRN requirements with no
20 changes. There's no changes to the requirement, no
21 changes to the test, nothing.

22 NIOSH will develop the STPs for these

1 particular requirements, and that will be based on
2 the NFPA 1981, 2002 edition.

3 And the rationale is that by NIOSH having
4 their own STPs, it doesn't bind NIOSH to a
5 particular method or to a particular edition.

6 And if necessary, NIOSH can always go
7 ahead and change their STPs to reflect the changes
8 of NFPA 1981, if we merit -- if we feel it's worth
9 while to do so.

10 MR. HEINS: Excuse me. Bodo Heins,
11 Draeger Safety.

12 It would be of a great effect if you only
13 would change your STPs and the manufacturer is not
14 aware of it.

15 And it could mean that the unit which
16 passed before could not any longer pass it if you
17 are only changing this in a test procedure.

18 MR. PALYA: Right.

19 So you're saying that just changing the
20 NIOSH STPs or keeping them still, as opposed to
21 just calling out a particular standard at a
22 particular edition.

1 Correct. Because we really don't have
2 control over that edition of a reference to test
3 procedure.

4 For the chemical agent permeation
5 resistance requirement, these are the following
6 changes.

7 Again, we're going to test the
8 functionality of the end of service life indicator
9 and any monitoring systems.

10 The minimum service life for this test,
11 both for the HD and the GB, they're pretty similar,
12 except the HD is a liquid.

13 But for the minimum service life is equal
14 to the applicant's identified duration, that's
15 established through 42 CFR plus one hour.

16 And the change is that we were not going
17 to monitor the oxygen nor the carbon dioxide
18 concentrations in the breathing gas in the last
19 hour after all of the absorbent has expired.

20 The reason is that we're trying to test
21 the main thing, and -- of this test, and that is
22 that the test, the permeation and penetration

1 resistance of the HD and GP.

2 Also, there is a change to this, is that
3 the decay rate of the vapor challenge will follow
4 the same profile as the decay rate of the NIOSH
5 CBRN standard for the open circuit.

6 The closed-circuit is just that, it's
7 closed-circuit.

8 So in the mixing chamber or the challenge
9 chamber, it's not getting -- the agent is not
10 getting flushed out or filtered out as with an
11 air-purifying respirator or with an open circuit.

12 So we feel that's unfair.

13 So we're looking at to learn the decay
14 profile, and then have the same decay profiles to
15 the open-circuit to keep them equivalent.

16 Yes, Bodo.

17 MR. HEINS: Excuse me.

18 The service lifetime is plus one hour.

19 How will you do that if after waiting
20 four hours, the unit is at the end. Oxygen has run
21 out and all of the CO2 and scrubbers at the end.

22 Will you refill the scrubber and fit a

1 new seal in there, or how should it work?

2 MR. PALYA: Well, again, we're not going
3 to monitor the O2 and the CO2 that last hour.

4 So it's not going to be critical for it
5 to be --

6 MR. HEINS: Without oxygen in the
7 cylinders, the unit will not work.

8 MR. PALYA: Okay.

9 Again, we're just looking at the -- we're
10 going to have to run some benchmark testing on
11 this.

12 We haven't got down to that yet, for the
13 benchmark testing. And we just came up with this
14 to go ahead and test the permeation.

15 MR. SZALAJDA: Excuse me. I think at
16 this time, instead of asking the questions during
17 Frank's presentation, if we can just wait until he
18 is done with his presentation, then we would be
19 happy to take your questions.

20 Thank you.

21 MR. HEINS: I will hold it.

22 MR. PALYA: Okay, please do.

1 Okay. We only have two more slides here,
2 so.

3 For the high radiant heat and open flame
4 resistance requirements, there was basically no
5 changes to the fabric, no changes in the
6 requirement or the test method for the fabric,
7 flame resistance, fabric heat resistance, or thread
8 heat resistance.

9 Again, NIOSH will develop their own STPs
10 based on the test methods from the NFPA 1981, 2002
11 edition.

12 And the last one we're going to discuss
13 here is the heat and flame resistance during
14 operational performance.

15 The current approach that we're going to
16 have is that we're going to use the breathing
17 machine instead of the ABM mask.

18 Therefore, the apparatus will only have
19 to meet the minimum and maximum breathing gas
20 pressure requirements in Table 1.

21 The rationale is it's very difficult to
22 integrate the ABM mask with the AFPA open flame and

1 test apparatus because of the trachea tube length,
2 and the logistics of the ABM mask, with all the
3 tanks and -- the nitrogen tanks and air tanks.

4 In addition, the test period is very
5 short for this requirement. It's 15 minutes in the
6 test oven and actually 10 seconds for the open
7 flame.

8 So therefore, really nothing is going to
9 be gained by using the ABMS.

10 Also, there's a safety issue with
11 exposing a full O2 bottle to the high heat and open
12 flame tester.

13 But again, NIOSH plans to perform
14 additional testings to validate this approach.

15 And at this time, I will be glad to take
16 your questions.

17 MR. SZALAJDA: I just want to contribute
18 one thing regarding the chemical warfare agent
19 testing.

20 One of the things that we're continuing
21 to address with RDECOM is the establishment or the
22 capability to do -- or to evaluate systems that use

1 rebreathing technology, and integrate the ABMS into
2 the operations.

3 And I think you can probably appreciate
4 as a result of the laboratory accident or explosion
5 earlier this year, we're still in the process of
6 working through establishing a walk-in hood for the
7 ABMS to integrate with the Smartman, and allow us
8 to evaluate systems that use the rebreathing
9 technology.

10 We still need to do our benchmarking in
11 that area.

12 And I think part of what we were looking
13 to pursue with the additional time is the pattern
14 along with what we did with the other systems that
15 we evaluate during the duration, to make sure that
16 we aren't getting penetration and permeation
17 effects.

18 I think once we get a better grip through
19 benchmarking as far as what the technology
20 limitations are, we may have to make some
21 clarifications to actual duration of the test time.

22 MR. PALYA: No questions?

1 MR. FLYNN: Bill Flynn from Biomarine.

2 As someone said earlier, I'm back.

3 I just want to bring up an issue that I
4 have brought up a number of times about breathing
5 resistance and the comparison of a closed-circuit
6 system with the standards for open-circuit and the
7 fact that we seem to be paying a penalty for the
8 fact that our limits are much lower than what is
9 for open-circuit systems.

10 And that affects us more greatly,
11 obviously, with the new standards with the higher
12 breathing rates.

13 So we still want to have that to be
14 considered.

15 MR. PALYA: Well, I think -- let me just
16 back up, and maybe this will help, Bill.

17 This is what you're referring to; right?

18 MR. FLYNN: Well, what I'm referring to
19 is the fact that you have a high limit there for
20 the CBRN standard, the draft standard for now, but
21 to meet the 42 CFR, our limit is two inches.

22 And whereas with the open-circuit system,

1 you have a limit that allows for the static
2 pressure in the face mask, which give you a higher
3 upper limit.

4 And I assume at this point when the
5 changes were made to the standard, there was no
6 consideration for that static pressure. It doesn't
7 really exist in the closed-circuit system the way
8 it does in the open-circuit system.

9 So we still feel as though we're paying a
10 penalty there compared to an open-circuit system.

11 And you do have your earlier slide that
12 says we're trying to mimic what we're doing with
13 the open-circuit systems.

14 So that's just a statement, not a
15 question.

16 MR. PALYA: Right. Noted.

17 MR. FLYNN: Just if I can have a point of
18 clarification, that the draft standard then will
19 have no reference whatsoever to NFPA.

20 It will just be STPs?

21 MR. PALYA: Right.

22 MR. FLYNN: So we won't see any NFPA

1 references at all?

2 MR. PALYA: Only maybe the test
3 equipment, okay, but we're going to have our STPs
4 written independently.

5 But taking most of it based off of the
6 technology.

7 MR. FLYNN: The question I always ask,
8 any update on the estimated costs.

9 You had a good estimate on the cost
10 earlier on the PAPRs. I wish our cost would be
11 like that.

12 Can we get that cost?

13 MR. PALYA: No. Not at this time.

14 And I will tell you why because we're
15 still going through the benchmark testings.

16 MR. FLYNN: Okay.

17 MR. PALYA: And we need to go through
18 each one of these and go ahead and fully understand
19 these, write the STPs, so we can go through each
20 step and document the little snafus that always pop
21 up, and take that into consideration.

22 We don't want to go ahead and give you

1 some false cost and then we will -- just bear with
2 us until we start marking through these benchmark
3 testings.

4 MR. FLYNN: And the last question is
5 about benchmark testing.

6 Do you have a latest time line on that,
7 or when you're expected to be done?

8 I remember in the past, the biggest
9 problem was the walk-in hood at the test facility.
10 Where are we on that walk-in hood?

11 MR. PALYA: Well, we just contacted them,
12 and they were going back and forth, some internal
13 issues on funding and everything, and it's back on
14 again.

15 That's going to probably -- I'm thinking
16 within the next three months for the walk-in hood.

17 But there's a lot of the other tests on
18 benchmarks that we need to do as far as the -- we
19 need to do the vibration test. We're almost
20 ready -- that's almost ready to be completed.

21 We're going to do the environmental
22 testing, and then some of the communications, a

1 lens abrasion test. Now, that's pretty well
2 standard tests that have been conducted.

3 So we should have some idea of that, but
4 we would still like to go ahead and do some
5 benchmark testing on that, and even develop our own
6 STPs for that.

7 MR. SELL: Sit down Bodo. I'm first.
8 I'm first.

9 Bob Sell, Draeger Safety.

10 One thing on, I think, the next Table B
11 that you have your work rate, workload starting out
12 at A, which is the high rate.

13 I would suggest that you maybe flip those
14 around and maybe look at a 40 liters per minute
15 work rate, on the assumption that, you know,
16 emergency personnel would probably be staging and
17 prepping before they go jump into a higher work
18 rate.

19 A suggestion there.

20 On the slide where you discussed the heat
21 and flame test. You said you weren't going to use
22 a -- without a full O2 bottle?

1 MR. PALYA: I think that was the
2 vibration test.

3 Well, hold on.

4 MR. SELL: That one too, with a full.

5 Okay. I'm sorry. I didn't read right.

6 And then, again, on the chemical agent,
7 you're going to go back to using the automated
8 breathing simulator with the walk-in chamber.

9 MR. PALYA: Yes. We're going to go ahead
10 and evaluate that because we don't know what kind
11 of chemical reaction that will be with the
12 absorbent or if something that gets contaminated.

13 We want to keep that as realistic as
14 possible. And we think that's a very important
15 feature in the test.

16 MR. SELL: Okay. Go ahead, Bodo.

17 MR. HEINS: Bodo Heins, draeger Safety.

18 Again, I want to come back also to the 51
19 millimeter for the breathing resistance.

20 At the beginning of your standard, you
21 are listing one of the paragraphs as 42 CFR.

22 My suggestion, again, is only delete the

1 two paragraphs where the breathing resistance is
2 mentioned, which is 1991.

3 If you cannot do so, then hesitate to
4 make changes to the 42 CFR. You can be sure that
5 changing the 42 CFR, which means two years, maybe
6 less, than new units being developed by a
7 manufacturer, which cannot fulfill both at this
8 time.

9 MR. PALYA: Noted, thank you.

10 Okay, thank you.

11 MR. SZALAJDA: While we transition -- I'm
12 sorry, go ahead Mike.

13 MR. KREUGER: Mike Kreuger at EG&G
14 Technologies.

15 You had mentioned the end of service time
16 alarm indicator, and then you also mentioned other
17 monitoring devices.

18 Give me an example of what, what are you
19 talking about?

20 MR. PALYA: A heads up display, HUD.

21 MR. KREUGER: Okay. Pass devices, I mean
22 is that any of those things.

1 MR. PALYA: Pass devices, yeah, and
2 anything, monitoring systems.

3 Yes, sir.

4 MR. KREUGER: Okay, one other thing.

5 You're going to use a metabolic simulator
6 to evaluate the performance of this.

7 Has anybody thought about how a user in
8 the field would maintain and test this equipment to
9 ensure that it's work properly?

10 MR. PALYA: Go ahead.

11 MR. KOVAC: Mike, they're commonly
12 deployed for mine rescue teams, and they're and
13 prepared on an as-needed basis.

14 So that technology, the practice, the
15 experience, and the training is there.

16 MR. KREUGER: No. I mean, but how would
17 you test this?

18 Like with SCBA, with open circuit, you
19 test it manually. How do you test this if you
20 don't have access to a metabolic simulator?

21 MR. KOVAC: The metabolic simulator
22 doesn't have anything to do with the preparation of

1 the devices.

2 MR. KREUGER: Okay.

3 MR. KOVAC: Okay.

4 MR. KREUGER: All right.

5 MR. BARG: Brent Barg (phonetic) at
6 Samms.

7 I just want to add one comment.

8 I think what's really important given the
9 way that the absorbing material works in
10 closed-circuit, that you should probably determine
11 based upon your operating temperature that you're
12 testing at, to consider an activation prerun,
13 prebreathing time, prior to starting your test
14 procedure because otherwise you run the risk,
15 especially at cold temperature, as to whether or
16 not you're going to have an adequate O2 level
17 inside that circuit.

18 MR. PALYA: Yeah. I think that's what
19 Bob's concern was because at that higher work rate,
20 it doesn't give it time to react, so at least at
21 the lower work rate, I think, that's on the same
22 principle as what you're saying.

1 MR. BARG: Well, not really.

2 What I'm saying is that I think that you
3 have to establish a prebreathing cycle prior to
4 initiating the test period.

5 Because if you don't do it, you're going
6 to run the risk of having a lower rate.

7 MR. PALYA: Okay. All right, thank you.

8 MR. SZALAJDA: While we still have a
9 captive audience, the ladies from EG&G Management
10 are in the process of passing out a survey that we
11 would like you to complete.

12 And upon completing that, I have a couple
13 of closing slides, and then we will open the floor
14 for open comments.

15 So at this point, I guess, as you get the
16 survey, if you can complete them, pass them down to
17 the center isle, and then we will collect them from
18 there. Maybe take about two or three minutes to do
19 that.

20 If you could finish and pass them to the
21 center isle, and we will collect them from there.

22 And I would also like to encourage you,

1 if you didn't get an opportunity to complete the
2 NPPTL customer satisfaction survey, the laptops
3 running the program are in the back corner of the
4 room.

5 Also, you can contact Mary Ann
6 D'Alessandro about information. It can be accessed
7 through the internet.

8 And we can provide that information for
9 you, as well, if you would be interested in filling
10 out the survey from that standpoint.

11 Now, we had a former director of NPPTL,
12 and it would take a lot of you to guess who that
13 is, but sort of at this point there's a mild
14 feeling of euphoria amongst the people who are
15 doing the presentation that would make you want to
16 burst into song.

17 And he was good at doing do-wap, but I
18 don't share his auditory tones for carrying off a
19 song, so I'm going to hold back at this time.

20 But I did want to leave you with a couple
21 of thoughts, at least as far as where we see the
22 program going forward from this point and get your

1 feedback with regard to the implementation strategy
2 that we have laid out today for the systems.

3 But with the CBRN PAPER, the approach is
4 to use our regulatory authorities and implement
5 Step 1 by policy.

6 And in the current environment that we
7 currently are conducting our business in, we think
8 that this is going to be the last opportunity to
9 introduce a standard using policy provisions, at
10 least with regard to the CBRN requirements.

11 But assuming that we have done our due
12 diligence and obtained our agencies approval in
13 going ahead and releasing the standard using the
14 policy authorities, we expect that the standard
15 will be completed and letters to manufacturers and
16 stakeholders will be sent out sometime during the
17 second quarter of 2006, which is the January
18 through March time frame.

19 Again, as I mentioned this morning, if
20 you are a PAPER -- potential PAPER applicant, now is
21 probably a good time to get your Part 84
22 application in order, and get it submitted so that

1 when the standard is approved, we can move in a
2 timely manner on getting the CBRN related testing
3 accomplished.

4 Along with that, the other key piece, the
5 technical issue that remains to be addressed is the
6 development of the capability for doing the aerosol
7 testing.

8 I think Terry provided a very good update
9 on that this afternoon.

10 But once that capability has been
11 established, then we would be able to look at
12 testing single filters at these higher flows.

13 PAPR Step 2, again, part of what we
14 discussed today being a function or being a portion
15 of the industrial respirator module that we're
16 going to be working on, in particular being a
17 specific type of requirement in that standard.

18 A lot of technology has been explored
19 over the last couple of years.

20 There's still more work to be done, but
21 we envision on completing that work during 2006,
22 leading us to starting the rulemaking process by

1 the end of this year.

2 What about the rest of the respirators
3 that we're working on? During the closed-circuit
4 presentation, we didn't discuss implementation.

5 And what we envision doing in trying to
6 complete during the course of this year is to
7 combine the remaining classes for respirators, the
8 closed-circuit SCBA, the combination units, and
9 also supplied air systems into one CBRN module,
10 which we intended to develop and release by the end
11 of 2006.

12 And this way, we will tailor, still using
13 the concept development and public process, the
14 concept paper, development and posting on the web
15 to share our ideas with you with regard to what
16 those performance requirements may be.

17 But combining them all together in one
18 condensed module that will be released and
19 implemented through the use of rule making
20 procedures.

21 And to reiterate, as far as we appreciate
22 your comments to the dialogue and the feedback that

1 we get at these sessions is very valuable to us.

2 Obviously, with the CBRN PAPR time, and I
3 have heard from other people, time is of the
4 essence.

5 So if you have specific questions or
6 concerns regarding the requirements of the CBRN
7 PAPR, I would really encourage you to submit those
8 within the next 30 days to the docket.

9 If they are things that formally you want
10 us to consider as part of the concept before we
11 finalize it as the standard, again, the docket
12 number is ten for the CBRN PAPR.

13 The industrial PAPR Docket No. 8, and the
14 closed-circuit SCBA, 39.

15 And with that, I will take any questions
16 that you may have about the implementation of the
17 standards, and then following that, we will open
18 the meeting for comments from the floor.

19 MR. BERNDTSSON: On your first -- Goran
20 Berndtsson.

21 On your first slide here, you had
22 finalized or the policy, Second Quarter, then you

1 say January to March.

2 What is it, second quarter or January to
3 March?

4 MR. SZALAJDA: March is the third month
5 of the second quarter.

6 MR. BERNDTSSON: No. That is the last
7 month of the first quarter.

8 MR. SZALAJDA: The federal fiscal year.

9 MR. BERNDTSSON: Oh, I see.

10 MR. SZALAJDA: So it's January, February,
11 March.

12 MR. BERNDTSSON: Apologize.

13 MR. SZALAJDA: Those are the types of
14 questions I appreciate having the opportunity to
15 answer.

16 Any other comments?

17 Okay. With that, I would like to open up
18 the floor for any general comments regarding our
19 CBRN standards development work, or the work
20 concerning the industrial PAPR.

21 MR. SMITH: Simon Smith, commenting on
22 the standard, just taking advantage of the venue to

1 do two things.

2 One is to advise people of the
3 forthcoming conference of the International Society
4 for Respiratory Protection, ISRP.

5 I have a brochure here.

6 This is going to be in Toronto, Canada
7 for the last week of August, next year. And it is
8 for respiratory protection for healthcare workers,
9 emergency responders, and for emerging hazards.

10 And I hope everyone here is a member
11 already, but if you're not, the membership is \$45
12 per year, and the conference is open to everyone.

13 Again, that's Toronto, Canada the last
14 week of August, next year.

15 I have some brochures if anybody would
16 like them.

17 The other thing I would like to comment
18 on -- and I'm afraid it is not relating directly to
19 today's discussion -- but is some of the work that
20 has been done in Canada on CBRN issues.

21 And I just thought it might be worthwhile
22 having an update on that, as it does have some

1 bearing on questions that have been asked today.

2 What has been doing is something called
3 the chem bio and radiological nuclear research and
4 technology initiative.

5 It's a Canadian government initiative for
6 addressing response to potential CBRN events.

7 Is it all right if I turn around?

8 MR. SZALAJDA: Yes, sir.

9 MR. SMITH: And it's to address three
10 main areas, those being grouping laboratories,
11 acquiring equipment and research from fundamental
12 through to technology taken into the field.

13 I have been on a team that is entitled
14 PPE for First Responders. It's project No. 29.

15 There is a website I can give you.
16 Unfortunately, it's probably quicker just to do a
17 search on CRCI and go from there.

18 But the website for the overall program,
19 and there are links into individual subprograms is
20 www.crci.drdc-rddc.gc.ca/en.

21 Sorry about that, it's because it's in
22 both languages, and the slash at the end is for

1 English. You can have it in French, if you wish.

2 Continue being involved with is being led
3 by the Royal Military College of Canada, and some
4 of you may be familiar with Dr. Huber Dixon there,
5 who has done a lot in the way of testing PPE
6 ensembles.

7 It's a team of both and government and
8 industry partners, and involves participation from
9 first responders groups as well.

10 And the objectives have been twofold.

11 One, to produce guidance documents for
12 use by first responders. And the second, to look
13 at equipment performance and address needs there.

14 With this program, we're coming to the
15 last year of four years.

16 And in fact, there are two programs
17 spinning off this, that are going to continue.

18 So I'm just going to go ahead to on
19 what's coming out.

20 We do not have the guidance document
21 fully issued yet, but it is being circulated for
22 approval among the first responders.

1 And this will endeavor to address
2 guidance for first responders needs.

3 What is being done is that the role of
4 the first responders have been identified in
5 detail, along with the work rates that are
6 anticipated for those job.

7 We have done some exposure on them, and
8 from this, on the PPE side, looked at respiratory
9 protection, skin protection and the overall issue
10 of ensemble protection.

11 This has involved the use of a test
12 chamber, which is at the Royal Military College.

13 We have looked at providing data to
14 support filter level development because it is
15 being undertaken by one of the parties, and also,
16 fit testing.

17 The outcomes that are perhaps different
18 from some of the discussions from NIOSH, we have
19 based this very much on the emergency response
20 training guidelines.

21 And produced some broad guidelines of
22 necessity addressing the issues for the zones in

1 those guidelines, the isolation protective action
2 and support zones.

3 For the approach to the scene, we have to
4 face the fact that the air-purifying respirator is
5 effectively going to be the primary resource
6 available.

7 It's nice if everybody has SCBAs, but
8 they may not have them as needed for an emergency,
9 and we have to face the fact that air-purifying
10 respirator use under other IDLH conditions is
11 inevitable.

12 So the next stage of this program will
13 address writing standards for the use of APRs under
14 such circumstances, and address the performance
15 requirements that are necessary.

16 At the present time, we can identify that
17 equipment similar to the NIOSH APR standard, the
18 CBRN APR standard is going to provide the best
19 short term protection. But we want to look at
20 modifying that.

21 Once the scene is established, we have
22 determined there should be a break at around the

1 200 kilogram level of material. Above that, SCBA
2 is going to be mandatory in the support zone and
3 protective action zone.

4 But below that, again, air-purifying
5 respirators are likely to be permissible.

6 We have looked at fit testing also. And
7 some detail has gone into this. In fact, it's been
8 carried on into a program for the Canadian forces.

9 And some evaluation has been done of
10 current fit testing protocols and modified protocol
11 developed using very high challenge levels of
12 particulate.

13 And also some special equipment involving
14 active telemetry of fit. And that's for inside and
15 outside counts, using sedimeters (phonetic) on
16 the mask and video so that you can gain a real time
17 measurement of the fit as you view the action that
18 the worker, or in many cases soldier is
19 undertaking. This is being developed by the
20 British forces and adapted for use in Canada.

21 But for the fit testing, we're looking
22 again that target protective factors are likely to

1 be greater than 10,000.

2 For further consideration of APR use,
3 we're looking also at the test chemicals,
4 recognizing we need to have an all hazards
5 approach.

6 We have done an assessment based simply
7 on chemical toxicity and volatility, respecting the
8 fact that terrorists may not rely only on
9 availability of material.

10 This has come up with a list of about 25
11 top compounds. Some are the test representative
12 agents the NIOSH has been using on those lists, and
13 some are not.

14 So, again, the next stage of this program
15 we will actually look at modifying filter
16 performance, if necessary, to address these
17 chemicals, evaluating filters, and potentially
18 proposing a revised standard for them.

19 So that's what's on the cards.

20 There is stuff coming out probably in the
21 next three to six months on the guidance side.

22 And we anticipate that the further

1 programs will continue into the next two to three
2 years. Thank you.

3 MR. SZALAJDA: Thank you, Simon.

4 And I guess if anybody has any specific
5 questions to Simon, if you could just meet with him
6 following the meeting, I would appreciate that.

7 MR. SMITH: Thanks. Oh, and I forgot to
8 mention, for the conference, the website there is
9 www.isrp.con.au.

10 And I have some of these brochures if
11 people would like them. Thanks.

12 MR. SZALAJDA: Any other comments at this
13 time?


14 Okay. Well, with that, I would like to
15 wish all of you, even though it may be politically
16 incorrect, a Merry Christmas, Happy Hanukkah, Happy
17 Kwanza, whatever your beliefs may or may not be,
18 and best of luck in the new year. And we look
19 forward to working with you in the year to come.
20 Thank you.

21 (Whereupon, the proceedings in the
22 above-captioned matter were concluded at 4:02 p.m.)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22

CERTIFICATE OF REPORTER

I, Joseph A. Inabnet, do hereby certify that the transcript of the foregoing proceedings was taken by me in Stenotype and thereafter reduced to typewriting under my supervision; that said transcript is a true record of the proceedings; that I am neither counsel for, related to, nor employed by any of the parties to the action in which these proceedings were taken; and further, that I am not a relative or employee of any attorney or counsel employed by the parties thereto, nor financially or otherwise interested in the outcome of the action.



Joseph A. Inabnet

Court Reporter